

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: FIRE ABOARD *GRANDE COSTA D'AVORIO*
 AT BERTH 16 IN THE PORT OF NEWARK
 IN NEWARK, NEW JERSEY ON JULY 5, 2023
 US Coast Guard District 1 Formal
 Investigation
 Public Hearing Day 2 of 6

ACCIDENT NO.: DCA23FM039

PLACE: Union, New Jersey

DATE: January 11, 2024

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Margaret C. Boardman
Transcriber