

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

LOSS OF THE SUBMARINE *TITAN* \*

IN THE NORTH ATLANTIC OCEAN \* Accident No.: DCA23FM036

ON JUNE 18, 2023 \*

\* \* \* \* \*

Interview of: [REDACTED]  
Director of Marine Operations  
OceanGate, Inc.

OceanGate  
Everett, Washington

Wednesday,  
January 19, 2018

APPEARANCES:

STOCKTON RUSH  
OceanGate Inc.

  
OceanGate Inc.

  
OceanGate Inc.

  
OceanGate Inc.

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of [REDACTED]	
By Mr. Rush	4

I N T E R V I E W

(1:00 p.m.)

1 MR. RUSH: There you go. So what's today? 18th?

2 [REDACTED] 19th.

3 [REDACTED] 19th.

4 MR. RUSH: 19th, 1 o'clock. I've got [REDACTED] [REDACTED]

5 [REDACTED] and [REDACTED] recording this.

6 INTERVIEW OF [REDACTED]

7 BY MR. RUSH:

8 Q. Okay. So first question. Give me some background. What  
9 brought this on? How long have you had some of these concerns?

10 A. Well, the concerns, basically the second the dome came in and  
11 we got those dome cut offs, okay.

12 Q. Um-hum.

13 A. So the end segments. As soon as they came in, and I'm not  
14 (indiscernible), and basically as soon as they came in, and I  
15 wasn't the only one that was like, oh, my God. Okay. At that  
16 point, having no experience or problem before, so I thought I'm  
17 going to do a bit of research on this.

18 Q. Um-hum.

19 A. Okay. Hence, when I find out, they do cut them off on most  
20 of the segments on, you know, planes and boats and God knows what  
21 else. And so on that, I did approach you and say --

22 Q. Right.

23 A. -- are we still getting it scanned? Okay.

1 Q. And it turns out you can't. We had looked at that. So keep  
2 going.

3 A. Okay. Do you want me to quote you?

4 Q. Yeah, okay.

5 A. I'm not going to waste the money getting Boeing to inspect  
6 that piece of shit. I know it's rubbish and -- what else was it?  
7 By the end of the day I've got to dive that. So wow. I was quite  
8 taken aback.

9 Q. I will say, I would not have said that without saying we have  
10 acoustic monitoring which will tell me way before it fails. God,  
11 I would never say that without pointing out that we have acoustic  
12 monitoring and, yeah, and I don't think I said piece of shit but  
13 Boeing can't scan. So it does really matter. I've already --  
14 we've already looked into it. There is no NDT doing 5 inch thick  
15 carbon fiber of that size.

16 A. Because absolutely nobody on this plant -- I mean I thought  
17 that --

18 Q. Nothing will find the micro buckling spots and small  
19 delaminations. Gross delaminations, yeah, you can put it in a CAT  
20 scan and you can get data on it. We've looked at a lot of the  
21 stuff, but keep going.

22 A. Okay. So is the intention to best efforts, get it scanned or  
23 are we just not doing it? What is the reason for not trying to  
24 get it scanned?

25 Q. Because the data we would get from a scan would not be

1 meaningful.

2 A. Really.

3 Q. Yeah. I mean unless it was a gross delamination. So it has  
4 a gross delamination and it is a piece of shit. We might see that  
5 in a scan. We will also see that with the acoustic monitoring.  
6 We've don't enough testing with acoustic monitoring that we know  
7 we will see that. You want to see a bad hole? That sample we  
8 have. That one-third scale clearly had a delamination a quarter  
9 of the way through. It went to 6500 PSI before it failed. And we  
10 knew at 4500 PSI that it was going to fail. So there -- an no one  
11 from Boeing, any of the experts I've talked to has questioned that  
12 acoustic monitoring will not detect problems with your hull way  
13 before they happen. Okay.

14 A. Does it not alarm you seeing what we see? Arnold -- I mean  
15 (indiscernible) was --

16 Q. Right, those are scraps, yeah, right.

17 A. We've got them at the (indiscernible), and they're from the 5  
18 inch hull.

19 Q. Right.

20 A. Those are segments from that hull and --

21 Q. The only part of that segment that matters is the segment  
22 that is the part that was cut. The rest of it is crap, and it's  
23 meant to be crap. That's why you cut it off. It's like judging a  
24 GM plant by what's in the dumpster.

25 A. Right, but all that porosity, the delams, everything, the

1 glue runs, it doesn't concern you?

2 Q. Not at all, because carbon fiber is better compression than  
3 tension. And that's what nobody understands. It's completely  
4 opposite of what everyone else says. Everyone's, oh, carbon fiber  
5 can't handle compression. They're full of shit, and I've proven  
6 they're full of shit. If you want to see that, you take a look at  
7 the third scale model that we tested.

8 A. Yeah.

9 Q. It is -- that was poorly done. It was -- it has a massive  
10 delamination. It had porosity. It had buoyancy.

11 A. Yep.

12 Q. And it still worked. Okay. [REDACTED] will join us. So that unit  
13 was heated -- not heated sufficiently. It was undersized. It was  
14 designed for -- if you scale up that third scale model --

15 A. Yep.

16 Q. -- it scales up to a 4.2 inch, not a 5 inch hull.

17 A. Okay.

18 Q. It was -- he didn't have thermal couples in it like we did  
19 with this one so he could get the temperature.

20 A. Okay.

21 Q. And as you scale up, the scale factor is in your favor  
22 because the fibers are smaller in relationship to the diameter.  
23 So all three of those say that this will be better.

24 A. It's also --

25 Q. And that one -- also that one was good enough, and it -- but

1 what's amazing is how poor it was. So, you know, it's a good  
2 news, bad news. You know, the bad news is what the hell is  
3 [REDACTED] doing creating such a product, and the good news is  
4 [REDACTED] knows. That's why [REDACTED] (ph.) went to him and why he's  
5 the only person whose made these hulls is carbon fiber in massive  
6 uniform compression is highly tolerant of Boeing's mistakes in  
7 manufacturing defects which is the opposite. I've talked to  
8 expert at Darpa (ph.). I've talked to experts at Boeing. I've  
9 talked to [REDACTED] I've talked to ETK (ph.). I've talked to  
10 General Dynamics. You know, it's been a 8 year project. I know  
11 what the hell I'm talking about.

12 A. Okay.

13 Q. So keep going.

14 A. What do you want me to do? Do you want me to go through the  
15 list?

16 Q. No, but I mean so, so you had that concern, and you're --  
17 whatever I said your interpretation was I said it was piece of  
18 shit, and we're not going to test it.

19 A. Correct.

20 Q. Okay. You've had -- I'd like to go down all these things  
21 but, you know, part of it I also want to know what was your --  
22 what led up to this and what's your goal with this document?

23 A. The goal for this document from me is the safety of anything  
24 that goes on there including you.

25 Q. I understand.

- 1 A. Okay. That's it. I am just trying to do my job. I have  
2 approached █████ you, and to Scoot, okay, on the matters  
3 beforehand, okay. The hull issues.
- 4 Q. Correct.
- 5 A. Okay.
- 6 Q. Yep.
- 7 A. I approached it, and I've just been dismissed --
- 8 Q. Yeah. I told --
- 9 A. -- many times.
- 10 Q. I told you the O-ring doesn't matter because it's a metal to  
11 metal seal under high pressure. You don't believe that.
- 12 A. Do you know why? Because I have firsthand experience of  
13 that.
- 14 Q. Right.
- 15 A. I've had firsthand experience of a design that was the same  
16 as that with a double dove tail, okay. It failed twice. And it  
17 was back to the drawing board. The amount of the pressure. That  
18 was a project to the MOD which I cannot discuss, okay.
- 19 Q. Okay. What was the shape of the --
- 20 A. The O-ring was exactly the same --
- 21 Q. No, no, not the O-ring. What was the shape of the --
- 22 A. Flat plate (ph.).
- 23 Q. Flat plate. Was it a dome on one end?
- 24 A. I can't tell you.
- 25 Q. Okay. So --

- 1 A. It was a, you know, a project for the MOD.
- 2 Q. And when it failed, what was the failure mode?
- 3 A. What was the failure mode? The O-ring.
- 4 Q. Well, did it leak? Did it flood? What did it do? Did it
- 5 leak a lot, a little? Did it start to leak?
- 6 A. It started to leak.
- 7 Q. At what pressure?
- 8 A. It was 4 -- 40 bar.
- 9 Q. So quite shallow.
- 10 A. 40 bar.
- 11 Q. And so it started to leak.
- 12 A. Yep.
- 13 Q. And then it came up and then had to redesign it?
- 14 A. Right.
- 15 Q. Okay.
- 16 A. We did it twice to verify the system.
- 17 [REDACTED] What was the design intent?
- 18 [REDACTED] Pardon?
- 19 [REDACTED] What was the design intent?
- 20 [REDACTED] A pressure vessel.
- 21 BY MR. RUSH:
- 22 Q. How did deep, how deep do they want to go?
- 23 A. I can't talk about it.
- 24 Q. Okay.
- 25 A. Okay.

1 (Crosstalk)

2 [REDACTED] -- so I can't about it. Pardon.

3 [REDACTED] The percentage was what?

4 [REDACTED] Okay. I think the -- the thing of this  
5 meeting is I just want to verify everything on here, the reason  
6 being is I ask question. I'm dismissed. That's it. Okay.

7 MR. RUSH: No, I gave you my answer.

8 [REDACTED] So instead of me being here --

9 MR. RUSH: And you didn't like my answer.

10 [REDACTED] -- with the kind of report, okay.

11 [REDACTED] I don't dismiss you when I answer.

12 [REDACTED] [REDACTED]

13 [REDACTED] No, I take issue with that.

14 [REDACTED] Okay.

15 [REDACTED] No, no, let's go back to the O-ring. I do take  
16 issue with that. We had a great conversation about the O-ring in  
17 the plunge hole.

18 [REDACTED] Yeah.

19 [REDACTED] I answered all your questions.

20 [REDACTED] Okay.

21 [REDACTED] And what did I say?

22 [REDACTED] At first --

23 [REDACTED] Enlighten all of us.

24 [REDACTED] Do you think so? Do you think it would fail?

25 That's what you said to me. That's what you said on the shop

1 floor. Do you --

2 [REDACTED] But what did I say about the plunge hole?

3 [REDACTED] I said, yes. The chances of not failing are

4 high.

5 [REDACTED] Okay. So keep going.

6 [REDACTED] Okay.

7 [REDACTED] What did we talk about?

8 [REDACTED] Go for it.

9 [REDACTED] No. Enlighten us. I didn't dismiss you. What

10 did I tell you that I did to verify that? I walked you through

11 the design process to know that that was okay.

12 [REDACTED] No, you didn't.

13 [REDACTED] Yes, I did.

14 [REDACTED] When did you do that?

15 [REDACTED] Absolutely did.

16 [REDACTED] When?

17 [REDACTED] What I told you was --

18 MR. RUSH: Was that months ago or --

19 [REDACTED] No, when we were mounting the aft dome. What I

20 told you was this. I said, look, I know as well as you do, I've

21 never seen a plunge hole like that on a sealing surface like that.

22 Do you remember this?

23 [REDACTED] I do remember you saying that.

24 [REDACTED] There you go.

25 [REDACTED] That was --

1 [REDACTED] Who did I tell I communicated with?

2 [REDACTED] You didn't say you communicated.

3 [REDACTED] Both Tifan (ph.) and Parker agrees that that  
4 plunge hole is appropriate.

5 [REDACTED] Really?

6 [REDACTED] Yes. And who did I call to know this? Their  
7 R&D engineers.

8 [REDACTED] Okay.

9 [REDACTED] So the design was done in concert --

10 [REDACTED] Okay.

11 [REDACTED] -- with their R&D department.

12 [REDACTED] Okay.

13 [REDACTED] Now, you can Google this on Google, and go look  
14 for plunge holes on ceiling surfaces and, in fact, they're all  
15 over the place.

16 [REDACTED] Okay.

17 [REDACTED] But we did talk about this, and I said, look,  
18 I've never seen them either, and then I commented that if it's  
19 going to leak, we're going to know. It's not a catastrophic  
20 failure but I said we're going to know that I've got fix it which  
21 is why I put the O-ring groove on the forward dome, and I didn't  
22 put it on the segment one. I can ship that out and get it  
23 reworked. That is what we talked about, and I did not dismiss  
24 you.

25 MR. RUSH: Okay. So let's --

1           ██████████ Can I ask -- do you have that documentation from  
2 the people that you talked to saying that that was an appropriate  
3 application?

4           ██████████ No, it was over the phone.

5           MR. RUSH: Yeah, it's via phone most of our --

6           ██████████ I don't -- they're not certifying that design.  
7 So whatever we talked about over the phone.

8           MR. RUSH: And this will come up. We'll go through this line  
9 by line. It'll come up on a lot of items which are, yeah, we know  
10 they're experimental. The question is if it fails, will we know  
11 before it happens? Will somebody get hurt? You know, if it's  
12 something -- if it was a glass front and you couldn't tell and the  
13 first failure mode is thing that's full of water, that's a lot  
14 different than acrylic which will craze (ph.) before it fails, and  
15 will creak before it fails. And it's a lot different than an O-  
16 ring that will leak before it explodes. And so you sort of go  
17 down the list, and that's the philosophy we're using on an  
18 experimental first of a kind prototype vessel, but let's go down  
19 -- let's just go down the first piece.

20           So the viewport. So what you're saying is you need the -- we  
21 need a pressure test of viewport with associated documentation  
22 from Hydrospace. Have you talked to ██████████ about this?

23           ██████████ No. Just ██████████

24           MR. RUSH: Okay. Okay.

25           ██████████ I mean I'm keeping it in house.

1 MR. RUSH: Right.

2 [REDACTED] I'm not, I'm not -- all that happens is  
3 anytime I've worked a system before, I worked on seven different  
4 systems before I came here, okay, all over the world.

5 MR. RUSH: Um-hum.

6 [REDACTED] Right. It's an open book policy that you can  
7 check before you go for a dive with people in there, okay, because  
8 at the end of the day the pilot is responsible for their lives.  
9 That's it. End of story from the start of the dive until the  
10 hatch is opened at the end.

11 So in terms of the viewport, all I was doing was asking for  
12 basic information on that viewport. That's it. That's all I'm  
13 asking for. That's it.

14 [REDACTED] An inspection was performed on the viewport by  
15 [REDACTED] and I, and it was delivered with cert paperwork.

16 [REDACTED] Okay. So is the viewport -- does it tie in  
17 with the PBHO guidelines?

18 [REDACTED] No.

19 MR. RUSH: No.

20 [REDACTED] It doesn't?

21 MR. RUSH: It's 8 percent off of the --

22 [REDACTED] Well, actually it does.

23 MR. RUSH: There are no PBHO guideline. Let's just start,  
24 let's just start with that. There are no PBHO guidelines. PBHO  
25 admits themselves. I've talked to [REDACTED] and other members

1 of the PBHO committee that the acrylic specs for PBHO were  
2 developed by Statute (ph.), and Statute admitted prior to his  
3 death how conservative he was and everyone knows that they are  
4 hyper over conservative and everyone I've talked to says an  
5 acrylic viewport will craze one-third it's failure depth period.

6 [REDACTED] It meets the requirements --

7 MR. RUSH: And no one -- and if you'd show someone. So in  
8 that discussion with [REDACTED] --

9 [REDACTED] Yeah.

10 MR. RUSH: -- we said this is the shape we want. It's a non-  
11 standard shape.

12 [REDACTED] Okay.

13 MR. RUSH: Normally it's a hyper hemisphere, and we're doing  
14 a flat bottom on the front of it, okay. So that's a non-standard  
15 shape.

16 [REDACTED] Yeah.

17 MR. RUSH: And I don't think -- and to find the pressure, you  
18 have to extrapolate Statute's curves which you can tell are wrong  
19 because they're straight lines. Nothing in this world is a  
20 straight line particularly when exposed to a squared function  
21 perform pressure. But you have to extend off the chart to get to  
22 where we are. [REDACTED] said if you do that, you are some percentage  
23 off, 8 percent is what they say. When you're looking at a safety  
24 factor in excess of 4. So we have determined that, in fact, this  
25 isn't a safety issues. This is a functionality issue. We may go

1 down and it may craze, and we have a mitigation plan which is to  
2 put a steel plate in there and we will then machine a glass  
3 compressed fitting from a pressure -- from the guys at Rayotec who  
4 do the glass for the -- much of NASA and the like, and I've met  
5 with them, and that will be our mitigation if it crazes over.

6 [REDACTED] Okay.

7 MR. RUSH: But it isn't just going to -- one of the great  
8 things about acrylic, it doesn't just fail. And so we have  
9 determination -- this is part of the test program. We're going to  
10 test it. I am confident that [REDACTED] doesn't know what he's talking  
11 about. And even [REDACTED] says that data is wrong, and then he goes  
12 back and says, but the data says you can't do this. So it's self-  
13 serving.

14 [REDACTED] What is the data? When you said it goes off  
15 the chart, what does the data say about viewport --

16 MR. RUSH: It goes to a PBHO guide. If you go to PBHO --

17 [REDACTED] Yeah.

18 MR. RUSH: -- it's right in there, and you look at the type  
19 of -- they have a chart --

20 [REDACTED] Okay.

21 MR. RUSH: -- and it goes out -- and what they come up with  
22 is you come up a critical pressure --

23 [REDACTED] Yes.

24 MR. RUSH: -- which is the failure and then you multiply it  
25 by what they call a conversion factor because they didn't want to

1 call it a safety factor --

2 [REDACTED] Right.

3 MR. RUSH: -- because they knew every engineer would laugh at  
4 them because it's 4 to 10. There's not a safety factor of less  
5 than 4.

6 [REDACTED] Okay.

7 MR. RUSH: And if you run the chart out it would say we don't  
8 hit it by 8 percent.

9 [REDACTED] It meets the requirements (indiscernible).

10 [REDACTED] Okay.

11 MR. RUSH: So, you know, we've had lengthy discussions --

12 [REDACTED] And do you have documentation from [REDACTED]?

13 [REDACTED] Oh, yeah, yeah. And he said --

14 [REDACTED] Can I see it?

15 [REDACTED] No.

16 [REDACTED] We're back to yesterday.

17 [REDACTED] No, I'm not.

18 MR. RUSH: No, so one of the issues is there has to be some  
19 confidence in senior management who's spent their time doing this  
20 and engineering that is doing this. It's not everybody's job.  
21 Everybody at Boeing doesn't get to sign off on the aerodynamics.  
22 Even the chief pilot doesn't get to sign off to say the wing's  
23 designed right. He doesn't even get to sign off to say the  
24 control system's right. He gets to find out how is this done?  
25 How do I operate it? What are my limits? And, what do you want

1 me to do?

2 [REDACTED] Okay. I disagree with that comment,  
3 Stockton, and I disagree that you're not going to present that  
4 documentation for me to look at.

5 MR. RUSH: Okay.

6 [REDACTED] I would like to see it.

7 MR. RUSH: Okay.

8 [REDACTED] And I requested it in an email. You rejected  
9 it. I requested it in person yesterday. You rejected it. You  
10 flat out said no. You're not getting it? You're just a pilot,  
11 okay. That's it. You don't need to know which I find a bit  
12 bizarre.

13 MR. RUSH: No, it's not bizarre.

14 [REDACTED] Well, in fact, I think it was.

15 MR. RUSH: No, it's not bizarre and the reason why it's not  
16 bizarre is what you've done well documenting here --

17 [REDACTED] Yes.

18 MR. RUSH: -- is you can take -- you can pick and choose some  
19 part of data that you want and extrapolate --

20 [REDACTED] Yes.

21 MR. RUSH: -- misinformation, right. And that's what  
22 happens, right.

23 [REDACTED] Okay.

24 MR. RUSH: So that's why engineers don't share that really  
25 with the world. You get a report and some people will know or

1 certification, you don't see anything behind certification  
2 whatsoever. Nobody sees data behind certification and the reason  
3 is for some of the items you wrote in there, is you would package  
4 it differently and represent in error. And I think --

5 [REDACTED] Can you package it so that the people who aren't  
6 as intelligent as engineers can understand it?

7 [REDACTED] Yeah, that's what like a cert paperwork or a  
8 report is for. That's what --

9 [REDACTED] And do you have that?

10 [REDACTED] No, I haven't had time to write that yet.

11 MR. RUSH: Yeah, so let's --

12 [REDACTED] That's where we're getting all the questions.

13 MR. RUSH: The fundamental question on the viewport is, and  
14 this is what I've been asking for over 8 years, will the fail  
15 without warning? That's the one -- we're in testing and this is  
16 what I look at all these things. Will it fail without warning?  
17 And (indiscernible) everybody says no. It will craze before it  
18 fails.

19 [REDACTED] You're going to have to dumb this down for me.  
20 That's that word --

21 MR. RUSH: So that when it starts to stress, it starts to  
22 crack open, you know, like a bad windshield on a motor cycle.

23 [REDACTED] Um-hum.

24 [REDACTED] It will look like scratching.

25 MR. RUSH: Yes.

1           ██████████ Okay.

2           MR. RUSH: And so that may happen. We are testing a non-  
3 standard geometry at pressures way beyond what ██████████  
4 did in sizes way beyond he ever tested for, and he's the only  
5 person who really ever did it. And everything in PBHO is based on  
6 Statute's work. And they pray to the God of Statute, and they all  
7 know, he even said himself, he didn't do all these different  
8 geometries. He tested the most of them, and he has great data,  
9 and there's lots of supporting stuff, but everybody admits that it  
10 was very limited, and that's why PBHO is not a standards  
11 committee. It is a volunteer group. It is not like a DOT  
12 standard. It is a bunch of volunteers who have their head up  
13 their asses in certain ways. And I'm going to go prove that, but  
14 that is for me to prove. That's why I'm going to do the dive.  
15 And what we may end up with is finding out that, hey, the viewport  
16 did craze. It crazed at 3,000 meters. The dive's over. Got to  
17 go back. We have a mitigation plan. We're going to put a steel  
18 plug in there, and we'll come up with a solution for it. We may  
19 find out it doesn't craze on the first dive. It crazes on the  
20 second dive. That's why I do more cycles, and same thing. We  
21 have a mitigation plan.

22           So we're testing. This is a test project. You know, we're  
23 doing stuff. No one has ever done a carbon fiber haul for human  
24 pressure like this, and there is a number of things that we're  
25 doing that, you know, no one's alarms like we've done it. No

1 one's done, you know, any of these operations. We're doing stuff  
2 that's way out there, and the only way I'm going to be comfortable  
3 with it is lots of cycles, lots of testing.

4 And, you know, at that point, the proper thing is to say,  
5 look, we've done 20 cycles to this depth. Here, you can go look  
6 at the viewport. It's for us to show you and say, hey, you know,  
7 Will says it's only good to 3,000 meters, and we're going 4,000 is  
8 not really relevant. What's relevant is, is this a proven design?  
9 And before we put people in there, particularly clients, it's  
10 going to be a proven design, and if I have to do 20 dives by  
11 myself before I can convince people in the company that it's safe,  
12 I'll do 20 dives. I'll do 50 dives.

13 But at some point you get to that, and this is how it used to  
14 be done before we came up with computers and committees and risk  
15 assessments, you know. You used to out and fly planes. Planes  
16 aren't that fun.

17 [REDACTED] In terms of you going in the submersible, I  
18 am so against it.

19 MR. RUSH: Okay.

20 [REDACTED] We spoke about it. Everybody else in the  
21 company has spoken to you about it.

22 MR. RUSH: Um-hum.

23 [REDACTED] Nobody's said anything against it. I'm  
24 against you doing that.

25 MR. RUSH: I understand.

1 [REDACTED] We should be putting that sub on a wire --

2 MR. RUSH: I understand.

3 [REDACTED] -- with this experimental --

4 MR. RUSH: And that's your issue, and a wire without safety  
5 issues, for one. And secondly, this is how we're doing it. It's  
6 just period. I have looked at it. You know, they don't test  
7 nuclear subs on a wire. They don't test airplanes on a wire.  
8 They could. What you do is you set a testing program where you do  
9 it incremental. It's not going to just go to 3100 and be perfect  
10 and at 3200, it all goes away. That ain't going to happen, and I  
11 will put my life on the line to say that ain't going to happen,  
12 okay.

13 [REDACTED] I wouldn't let it happen. And he hasn't heard  
14 (indiscernible) from me on that whatsoever.

15 MR. RUSH: So, you know, that can be your assessment. I've  
16 test flown planes I've built myself. I've test flown subs that  
17 I've built myself, and as long as I am comfortable with what the  
18 safety parameters are. When you first fly a plane, you take off  
19 and you land. And the next time you take off and you got to 200  
20 knots and you land. And then next time you go to 210, and then  
21 you do -- you gradually build the envelope because they don't  
22 just, don't fail. They tend to, you know, you see the stresses  
23 are beyond the limits.

24 We have this thing more instrumented than anything. I had  
25 this conversation with [REDACTED] yesterday. I said every other

1 sub out there is unsafe. They should have strain gauges at every  
2 location on a steel sub. How do you know it's still round if we  
3 get hit by a forklift? It costs almost nothing. No one has a  
4 strain gauge doing real time monitoring. That's what they should  
5 be doing.

6 So I take, you know, great umbrage at people saying this is  
7 unsafe. It's a different approach, and I will do incrementally  
8 and I will do it safely, and we'll analyze the data from every  
9 depth and if no one else is comfortable, that's fine with by me as  
10 well.

11 [REDACTED] And so what's going to happen in the timeline  
12 that we've got between doing -- eventually when it does get done  
13 here to bring you in and say that 8 weeks later, it's on a truck,  
14 it takes what, 2, 3 weeks to get there.

15 MR. RUSH: Yeah.

16 [REDACTED] And within how many dives do you want to be  
17 at 4,000 meters?

18 MR. RUSH: We'll do 3 to start with. We'll do 1, 2 and 3,  
19 and then we'll do -- we'll see what the set rate is and how long  
20 it takes and we'll do it by 100 meter increments from there on  
21 that day.

22 [REDACTED] I disagree with that because --

23 MR. RUSH: And I'm going to stop on the way, you know, along  
24 the way. Well, we have real time monitors. So we'll see, you  
25 know, the same thing. Every time we get go 1,000 meters, it

1 should be quieter than the last time. If it isn't, then we have  
2 serious concerns. We have a lot of mitigation plans in this that  
3 are already in place, that have been tested and that are -- nobody  
4 can deny. It's just nobody's done it that way before.

5 [REDACTED] Computers fail. We know this from *Cyclops I*.

6 MR. RUSH: So you call the dive off.

7 [REDACTED] So to get that data --

8 MR. RUSH: Right.

9 [REDACTED] Computers don't fail.

10 [REDACTED] [REDACTED] Anyway --

11 (Crosstalk)

12 MR. RUSH: So the answer is yes, a computer fails. So we  
13 call the dive off.

14 [REDACTED] And how do you know you're getting accurate  
15 data?

16 MR. RUSH: Because we have -- the strain gauges. We test it  
17 with -- the same way Boeing does. Snap it. Snap a 3 millimeter  
18 pencil lead on the outside, and see what that wave form looks  
19 like. We've had a Ph.D., at the naval post graduate school look  
20 at this data. This is -- one of the concerns I have with a lot of  
21 this is the tone here is we don't know what we're talking about,  
22 and I've spent 8 years working on this thing. I know --

23 [REDACTED] That is not the case. Honestly, Stockton,  
24 that is not the case. What I'm doing is I'm just trying to get  
25 answers and put forward my recommendations with my experience

1 within the submersible industry --

2 MR. RUSH: I understand.

3 [REDACTED] -- which outweighs the experience that you  
4 have in the submersible industry. I know this is your company.

5 MR. RUSH: I understand.

6 [REDACTED] But at the end of the day, I've been doing it  
7 a very long time. This is [REDACTED] first project. I know you  
8 worked on hyperbarics and stuff like that. You were a diver in  
9 the Navy. It's your first submersible project, okay. In terms of  
10 getting everything right the first time, this is critical  
11 especially --

12 MR. RUSH: I understand.

13 [REDACTED] -- wanting to be in the submersible.

14 MR. RUSH: I understand.

15 [REDACTED] In terms of your viewport paperwork, let me  
16 see it. What is the objection to letting me see it? It's not a  
17 bad thing having a second set of eyes who has experience three  
18 times --

19 MR. RUSH: Because it doesn't -- we'll tell you it doesn't  
20 meet.

21 [REDACTED] Why keep it from me?

22 MR. RUSH: Well, because it doesn't meet. It doesn't meet  
23 the parameters period. We will admit to that.

24 [REDACTED] Okay.

25 MR. RUSH: Okay. So let's just clear a few things up. One,

1 how many subs have you designed and built yourself?

2 [REDACTED] I am not a designer.

3 MR. RUSH: Okay. How many airplanes have you designed and  
4 built yourself?

5 [REDACTED] None.

6 MR. RUSH: I will tell you that airplanes, cars and other  
7 vehicles, make -- these things are a joke. They have some nuances  
8 to them but this is nothing next to airplane.

9 [REDACTED] The physics doesn't change and neither does  
10 the --

11 MR. RUSH: So anyway. Let's move on. So forward ceiling  
12 surface, we covered that on the Parker O-ring component. And it  
13 doesn't sound like anything. You're going to take your experience  
14 and Parker's page from their catalog as trumping whatever [REDACTED] has  
15 said with Parker or with Tifan.

16 [REDACTED] On board.

17 MR. RUSH: Right. It doesn't have any paperwork to back that  
18 up.

19 [REDACTED] I don't need it, correct?

20 MR. RUSH: Okay. So the question -- yeah. This does get  
21 down to the basic question of trust of confidence and that's --  
22 we'll get to that later, but let's keep going here.

23 [REDACTED] Okay.

24 MR. RUSH: So the ceiling face.

25 [REDACTED] Yeah.

1 MR. RUSH: So there's a [REDACTED]

2 [REDACTED] Yeah.

3 MR. RUSH: We'll polish it out.

4 (Crosstalk)

5 MR. RUSH: Okay. This one's interesting. So the glue -- the  
6 segment that was glued. Did you ask to inspect the attachment  
7 face?

8 [REDACTED] Negative. No.

9 MR. RUSH: Okay. If you had inspected the attachment face,  
10 do you have certain experience in examining large carbon fiber --

11 [REDACTED] I have experience of ceiling faces. This is  
12 not on the carbon. This is on segment one.

13 [REDACTED] Okay.

14 MR. RUSH: So the metal.

15 [REDACTED] Yes, metal, correct.

16 MR. RUSH: So we had no less than four engineers there. It  
17 is videotaped. It's on our archive.

18 [REDACTED] Yep.

19 MR. RUSH: You can see that.

20 [REDACTED] Yeah.

21 MR. RUSH: We've glued it on there. So I'm wondering what  
22 your -- you believe that you should have been --

23 [REDACTED] No, I just -- all -- for me, before I put  
24 people in the water --

25 MR. RUSH: Right.

1 [REDACTED] -- some verification.

2 [REDACTED] Of what?

3 [REDACTED] (Indiscernible) actually happening, okay.

4 MR. RUSH: Well, he saw it. I saw it.

5 [REDACTED] He saw before --

6 MR. RUSH: [REDACTED] saw it.

7 [REDACTED] -- you glued it on. That's it. That's all  
8 I'm asking. It's not -- this is a simple -- did you see it, [REDACTED]  
9 That's -- you inspected that ceiling face. You inspected that  
10 ceiling face.

11 MR. RUSH: Right.

12 [REDACTED] So we can move on now.

13 MR. RUSH: So non-destructive testing. We've already  
14 addressed.

15 [REDACTED] Have you? This is on the bond line. So are  
16 we doing anything on it? I know initially the company when [REDACTED]  
17 spoke to everybody initially, we were talking about using a  
18 machine to applying the adhesive. It had to be so many  
19 thousandths of an inch thick, okay. We all saw on the video, and  
20 there's four guys on the top of ladders with spatulas --

21 [REDACTED] Yeah, exactly.

22 [REDACTED] -- streaking it on.

23 [REDACTED] Yep, yep.

24 [REDACTED] Okay.

25 MR. RUSH: And we had feeler gauges to make sure we had the

1 gaps on it, and I'll give you an example. The deep seaglider, and  
2 I've mentioned this, they have a carbon fiber hull. They talked  
3 to Boeing about it. They said it scales up much like ours. They  
4 have an aluminum end cap that was supposed to be anodized and was  
5 painted. It did 3 dives at 6,000 meters. They brought it back to  
6 analyze it, and they found that, oh, shit, it was painted and it  
7 literally just came off. The bottom line, and what is unusual is  
8 the glue and the nature of the carbon fiber is tolerant of  
9 compressive loads, much like cement. Cement can get fractured and  
10 in compression it's fine. In tension, it falls apart. Carbon  
11 fiber is very much the same.

12 [REDACTED] And are you, as an open sound because we've  
13 got three dissimilar materials --

14 MR. RUSH: Yeah, that's why they need to be separated by the  
15 titanium --

16 (Crosstalk)

17 [REDACTED] -- carbon. Everything is going to react  
18 differently --

19 MR. RUSH: Right, exactly. Yeah.

20 [REDACTED] It's engineering.

21 MR. RUSH: Yeah. No, it's been --

22 [REDACTED] So you have the data on that?

23 MR. RUSH: Yeah, we've analyzed the hell out of it so the  
24 modules are the same, the deflection is the same.

25 [REDACTED] What data would you be talking about? Like

1 what? What's the question?

2 [REDACTED] When we spoke -- everybody spoke initially  
3 the carbon. The carbon eventually, you know, there was a  
4 potential for it shrinking half an inch. Then there was talk of  
5 it doing a quarter of an inch, and then it was back up to an inch.

6 [REDACTED] Okay.

7 [REDACTED] You know, if you got all that sort of data in  
8 terms of the hull --

9 [REDACTED] Yeah, that's what --

10 [REDACTED] So how much is it going to shrink by? What's  
11 the common --

12 (Crosstalk)

13 [REDACTED] -- 50 inches in the center of the case, it would  
14 be between .06 and .075 inches.

15 [REDACTED] Okay.

16 [REDACTED] Can we go back to the carbon fiber just because --

17 MR. RUSH: Yeah. Let me give this from the layman's  
18 perspective. What we're doing with carbon fiber, titanium,  
19 titanium domes, cyclic fatigue, water penetration, dissimilar  
20 metals, you know, the whole number of things that can happen, all  
21 of which will manifest themselves in acoustic information and  
22 strain gauge deflection.

23 [REDACTED] Um-hum.

24 MR. RUSH: That's why we have the real time monitoring. You  
25 could never do this. I would never recommend anybody doing this

1 if you couldn't tell the health of the hull from day 1 to day 2.  
2 That is the crux of what we're doing. That's what we spent so  
3 long doing. That's why we have Ph.D.s analyzing the data, and  
4 that why we did the tests at the University of Washington.  
5 Because if you don't do that, all of the concerns that [REDACTED]  
6 points out are legit. With acoustic monitoring, you get away from  
7 that.

8 Now, if it fails, then you have to stop, and it's -- again,  
9 this is not something that just happens all of a sudden. It  
10 doesn't just implode. It screams like a mother before it  
11 implodes.

12 [REDACTED] The MVAs (ph.), our analysis, all structural  
13 analysis and everything were good. It's all been validated.

14 [REDACTED] Um-hum. My question, you were talking about that  
15 carbon fiber is better --

16 MR. RUSH: In compression.

17 [REDACTED] -- in compression as opposed to tension.

18 MR. RUSH: Yeah.

19 [REDACTED] And all's I'm hearing is the opposite of that.

20 MR. RUSH: Exactly. Exactly.

21 [REDACTED] And you do have --

22 MR. RUSH: Yeah, exactly.

23 [REDACTED] -- that document? I mean I'm -- I'd like to read  
24 it.

25 MR. RUSH: Talk to Boeing. That's why Boeing is doing it.

1 That's why I've talked to people from not just Boeing, Lockheed  
2 Martin. People have realized that this is the case, and what is  
3 the -- and it's uniform compression.

4 [REDACTED] Right.

5 MR. RUSH: The challenge is when you have non-uniform  
6 compression or twisting of tensile (ph.) like you have in a wind,  
7 and what's being said in the, in the ocean world is exactly what  
8 was said in the aviation world, and they -- and the FAA took 20  
9 years to approve carbon fiber primary structures. I had been  
10 flying my plane for 10 years before the FAA every thought you  
11 could do that. The entire thing's fiberglass. And it is -- the  
12 issue is controlling manufacturing as having enough overbuild and  
13 having higher safety factors with it. And when you look at  
14 uniform compression of carbon fiber, it's the perfect material.

15 And I've talked to what -- I've been the Navy conferences.  
16 I've talked to guys from Lockheed Martin who are trying to pitch  
17 this because years ago, they did composite hulls and people said,  
18 how do you know it's any good? You could have voids. You could  
19 have porosity. You could have cyclic failures. And they took us  
20 and chopped it to pieces because they thought we'd have problems  
21 and it was perfect.

22 And so the Navy has been against it, and the orthodoxy of the  
23 submersible world have been against it, and they talk about  
24 capricious failure modes, and they talk about porosity and they  
25 talk about all these little things. And the world is coming

1 around to understand that, in fact, carbon fiber is perfect for  
2 pressure vessels. It's the only material for pressure vessels.

3 [REDACTED] Can I ask a --

4 MR. RUSH: Because it doesn't require, it doesn't require  
5 extra buoyancy. You can actually get a light structure.

6 [REDACTED] Sure. Again, I guess here's just me as a diver  
7 thinking out loud --

8 MR. RUSH: Yeah.

9 [REDACTED] -- you know. If there's a void say in the middle  
10 of the hull --

11 MR. RUSH: Right.

12 [REDACTED] -- and you go down -- I mean the pressure is going  
13 to --

14 MR. RUSH: Yeah.

15 [REDACTED] -- squeeze that void.

16 MR. RUSH: And it's going to pop.

17 [REDACTED] Well -- but then we're going to come back up.

18 MR. RUSH: Exactly. This is --

19 [REDACTED] I mean isn't that going to -- that void going to  
20 get bigger and bigger and bigger?

21 MR. RUSH: Exactly, and you'll hear that one -- you'll hear  
22 it in the carbon fiber and you'll also see it in the strain  
23 loading because the thing will get soft. You see this with sail  
24 planes sometimes. They sit in the sun and they start to get soft.  
25 That all gets detected. That's why we do real time monitoring.

1 From the beginning of time, I started this project, the only idea  
2 that made sense was that you would have real time monitoring of  
3 the hull because you can't do these non-standard things and highly  
4 complicated and complex structures unless you're confident you can  
5 sense the heartbeat of the patient.

6 [REDACTED] Does that -- I mean doesn't that mean though that  
7 the hull would get weaker --

8 MR. RUSH: Exactly. Yeah.

9 [REDACTED] -- over --

10 MR. RUSH: There is a non-zero probability that we'll find  
11 out this hull is only good for cycles at 4,000 meters --

12 [REDACTED] Let me address that.

13 MR. RUSH: -- or 50.

14 [REDACTED] Let me address though. So there's an awful lot  
15 of rumor in what you're saying.

16 [REDACTED] Um-hum.

17 [REDACTED] And to start with, we'll go with our carbon  
18 fiber is stronger in tension versus compression. That statement  
19 is, in fact, true. A carbon fiber fiber is stronger in an  
20 engineering lab in tension than it in compression. What no one  
21 talks about is in its worst failure mode, compression, is it  
22 adequate? That value is orders of magnitude different and better  
23 than other materials --

24 MR. RUSH: Like titanium.

25 [REDACTED] -- that these structures are made out of. Just

1 the minimum. If we took -- if we got build everything in tension,  
2 it's why we make a lot of pressure vessels like out of carbon  
3 fiber. If you take that internal and you made a long cut of it,  
4 like this, right, and then let's suppose that it's perfect with  
5 zero voids in it, all right. And you sat something on it that's  
6 extremely heavy, and maybe even a point load. And you have this  
7 same shape out of different materials. It doesn't matter if it's  
8 steel, titanium, copper, bronze, and the list goes on, plastic.  
9 It doesn't matter. That carbon fiber plate will out perform most  
10 of the materials.

11 Now, we can heat treat and do some material science to a lot  
12 of these other metals a little bit differently to make them  
13 stronger and it has to do with more complicated grain structures  
14 and what not, but what you're doing in there is you're changing  
15 the shape of it to model more of what a carbon fiber structure  
16 would do.

17 MR. RUSH: Then if you have void --

18 ██████████ Give me a second, Stockton. When you have a  
19 void inside, okay, which there's a high probability you get some  
20 voids we'll say inside the structure itself. Everybody talks  
21 about voids inside carbon fiber structures as if it's the death  
22 needle. And, it can be that carbon fiber structures are extremely  
23 process dependent, right, which is why I went down to Sacramento  
24 to watch some new videos on the whole thing because they are. And  
25 what we were concerned about is if you get somebody that does this

1 kind of move, we wanted to capture it on video, but watching it is  
2 like watching paint dry but valuable, right, watching their  
3 process.

4 But let's supposed that that void in there crushes, the  
5 bubble crushes, right.

6 [REDACTED] Um-hum.

7 [REDACTED] And so all your material around it goes -- it  
8 collapses, right.

9 [REDACTED] Um-hum.

10 [REDACTED] And so two surfaces that weren't touching each  
11 other are now touching each other --

12 [REDACTED] Right.

13 [REDACTED] -- right. And --

14 [REDACTED] At pressure.

15 [REDACTED] At pressure, right. Okay. That bubble or that  
16 capability or that defect, what we call a material sign, doesn't  
17 move.

18 [REDACTED] So you're saying when you come back --

19 [REDACTED] When you come back up, it goes back to the same  
20 place. It does not move. Okay. Can it move? That answer is  
21 yes. What you need is in the surrounding material of that defect,  
22 you've got to have some sort of energy imparted on it in order for  
23 it to move within a plane. Carbon fiber structures are very  
24 planar, right. So they're like layers and wraps --

25 [REDACTED] Right.

1 [REDACTED] -- and whatnot, right. So in these, not just  
2 the fibers next to each other in the plane because you have the  
3 same question in between two this way. We'll say two lay ups, it  
4 doesn't matter what they are, right. You can have a void inside  
5 there.

6 [REDACTED] Um-hum.

7 [REDACTED] When that collapses, when you relieve the  
8 stress, it comes back up. The problem comes when it collapses and  
9 you're loads are vibrant and non-uniform, which is not the case  
10 that we have. And I'll get to why this is so important for us to  
11 understand.

12 So if that bubble comes up, we may never hear it. So we can  
13 have bubbles in there doing this forever and never cause a  
14 problem.

15 [REDACTED] Um-hum.

16 [REDACTED] And it doesn't matter really if 50 percent of  
17 that has voids in it. It's like 50 percent of the volume has  
18 voids in it. Now, would we be concerned with those items  
19 traveling? Yes. And is 50 percent the right number? I'm going  
20 to say no. I really don't know what acceptable void content's  
21 going to be. But, what you are concerned with is those structures  
22 when they come together in those interstitial planes, right. But  
23 glue is what holds it together. What nobody talks about with  
24 carbon fiber structures is sure the fibers are strong in tension,  
25 and they're not as strong in compression but they are strong.

1 Okay. What really holds these things together is the glue.

2 [REDACTED] Right.

3 [REDACTED] Nobody, nobody says did you put the right glue  
4 in there?

5 [REDACTED] I'm asking. Did you put the right glue in there?

6 [REDACTED] We put the right glue in there because it's a  
7 misunderstood things, and these are rumors and this is a problem,  
8 this is a problem with taking misunderstood data and then  
9 publishing it, you know, maybe in an incorrect way, right. It's  
10 really the glue. It boils down to the glue in between  
11 interstitial places, and this is why. If I took a think piece of  
12 glue here and collapse this on top and wanted to peel it off I'd  
13 say that it's not going to come off, right. But what if I put a  
14 nice thick glob of glue on here and put it on there and then peel  
15 is off, right. Sometimes those don't hold and when you do this  
16 with superglue, right, you see this a lot, the instructions tell  
17 you a really, really small drop, right. More is never better.

18 [REDACTED] Right.

19 [REDACTED] And the reason why more is never better is it  
20 changes your stress strain profile from plane strain to plane  
21 stress. And so it matters really how thin that glued interface is  
22 more than, more than anything. So like I said, in the entire  
23 structure -- give me a second here. In the entire structure,  
24 what's important for the entire design is the entire structure  
25 moves the same way and we want it to move. Skyscrapers move.

1 They all have to move, right.

2 Now, to move, we have a principle called modulus, and not to  
3 go into that, our design matches that modulus all the way through,  
4 right. And the reason to take that to why carbon fiber structures  
5 especially in these solid pieces in uniform compression are so  
6 good is metals have the same issue. They have what are called  
7 defects inside, right. And there's different types of defects.  
8 We call them dislocations. You have like plane dislocations,  
9 screw dislocations, and in these dislocations what no one talks  
10 about in the metal is if I -- like if you go up in an airplane,  
11 you see the airplane wings going like this, the reason why metals  
12 are flexible and carbon fiber is really, really stiff, is these  
13 dislocations, voids move. And they keep moving in the lattice (ph.)  
14 structure until they reach a free surface, and then it just kind  
15 of pops out.

16 When you run out of dislocations, right, it's not flexible  
17 any more. Then it becomes brittle.

18 [REDACTED] Right.

19 [REDACTED] And you can see this test in copper pipes.  
20 Copper pipes, if you ever take a piece of copper and you bend it,  
21 you can bend it in one direction, but you go to try to unbend it,  
22 it's coherent (ph.). You can't unbend it any more. And the reason  
23 is all those dislocations inside or voids went straight to the  
24 surface. There isn't anything in there to allow it to move.

25 MR. RUSH: So, let me bring it back to the submersible. So

1 if you look at the autonomous vehicles, they're all carbon fiber.  
2 The deep diving, the deep seaglider, the LDUV, they're using  
3 carbon fiber because it's three times better on the strength to  
4 buoyancy basis than titanium. And so the world is going that way.  
5 The manned sub world is dragging its feet, kicking and screaming,  
6 but they're making very expensive AUVs and all kinds of expensive  
7 equipment that is all carbon fiber.

8 And, you know, as I've seen, I've been to conferences on this  
9 stuff. I've talked to, you know, Boeing's top people. We had our  
10 contract with Boeing. You know, I've spent countless hours down  
11 there talking to all of their composites people, and they're, you  
12 know. They had (indiscernible) with [REDACTED] (ph.) 2 weeks  
13 ago, and he was all concerned. And he said, hey, I'm really  
14 concerned about you. You're going to go in this sub, and I said,  
15 [REDACTED] tell me I'm wrong. Will I hear it on my acoustic monitoring  
16 system way before it fails? He said, yes. I said, then I'm not  
17 concerned. I'm not concerned that I may end up with a sub that  
18 doesn't work or a sub that can only do 50 cycles, and we've got  
19 make a whole new -- if we could get 50 out of each hull, it would  
20 still pay. We just go make up a bunch of hulls. We will know  
21 before. I will know before it fails, well before it fails, and we  
22 will also know that it's starting to get weak, that we didn't --  
23 and one of the concerns, you get -- you get porosity, that rhino  
24 liner doesn't work and some water gets in there and then it  
25 freezes and then it starts to create, you know, voids. You'll

1 hear that, too. We will hear everything. So -- and that's -- I'm  
2 betting my life on it, and I have asked everybody I possibly can,  
3 and nobody with any knowledge in the space have told me I'm wrong.

4 [REDACTED] And we're dealt with --

5 MR. RUSH: And Boeing has a reason to tell me I'm wrong.

6 [REDACTED] So why? Was it the safety factor that Boeing  
7 want to -- you know, they've been willing to make it for 10 or 9  
8 inches rather than 5? Is that the safety factor?

9 MR. RUSH: Well, they want it for 6,000 meters and a 2 1/4  
10 safety factor and they wouldn't do a 90/10 lay up. They'll only  
11 do 40/40/20 because they don't have data because in the real world  
12 nothing gets uniform loads. Everything has a tensile, yeah,  
13 component to it. And so they don't have models do it. Even  
14 though they admit all your loads are orthogonal, they wouldn't do  
15 it that way. He -- [REDACTED] told me that he'd look at the deep  
16 seaglider which is a 6,000 meter hull and he scaled it out, and it  
17 turns out to be a 5 inch thick hull, and that would be for 6,000  
18 meters. So he's looking at it. He says, well, maybe we'd do 7,  
19 maybe 5, but it's Boeing, and they're adding on, you know, safety  
20 factor after safety factor.

21 [REDACTED] And what is our safety factor?

22 MR. RUSH: Well, it's supposed to be 2 1/4 but I know it  
23 isn't because it's supposed to be 2 1/4 on the 2/3 scale model.  
24 There's no way that should have failed at 6500.

25 So, you know, we -- what we told [REDACTED] was we wanted 2 1/4

1 safety factor at 6,000 meters depth. I will guarantee you that  
2 it's not there. That's what he designed for but there's all the  
3 anomalies and, you know, he's doing a wet layout for me and that's  
4 not the same as a Boeing process where they put each fiber down,  
5 where they -- and Boeing is very concerned to get it exactly right  
6 because weight is costly to them. Weight isn't costly to us.  
7 Weight's what we want. And so originally the hull was supposed to  
8 be 4 1/2 inches. I said, oh, let's make it 5 just for extra shits  
9 and grins to have more. So I think -- I have very little concern  
10 we're going to have a problem with the carbon fiber. The weakest  
11 link in the entire sub is the titanium dome.

12 [REDACTED] So what do you think the safety factor is with the  
13 size and the way that we laid it out?

14 MR. RUSH: With the thing? Less than, less than what we  
15 asked for.

16 [REDACTED] The case?

17 MR. RUSH: Yeah.

18 [REDACTED] Yeah.

19 [REDACTED] The manufacturer's reporting over 2 1/4 at  
20 6,000.

21 MR. RUSH: 6,000. So 4,000 --

22 [REDACTED] When you're saying not, when you're saying --

23 MR. RUSH: That's what he's saying.

24 [REDACTED] That's us.

25 MR. RUSH: That's the best data we've got --

1           ██████████ That's the vest --

2           MR. RUSH: And that's the same thing with anything. You'll  
3 get engineer data and then you go out and test it. So, you know,  
4 you can have an engineer who says the landing gear is good for "X"  
5 and you do out and test it and it breaks. That happens all the  
6 time.

7           ██████████ So you're saying -- sorry -- 2 1/4 --

8           MR. RUSH: At 6,000 meters.

9           ██████████ -- at 6,000 meters. It should conceivably go to  
10 10,000.

11          MR. RUSH: Correct.

12          ██████████ Is that what you're saying?

13          MR. RUSH: It should not fail. I'm telling you that our  
14 experience with ██████████, everything ██████████ has told us has been  
15 wrong, which is the depressing part. Every part that he's told us  
16 is wrong has been in our favor. So on one level, you go, holy,  
17 shit. He is the -- he is one of the living experts in carbon  
18 fiber. He's got 22 patens. He makes all kinds of stuff for  
19 General Dynamics and Fawcett and everybody else, and he's done a  
20 bunch of testing. But he's an old dude. He's weird, and he does  
21 it with older software and he has understood the secret of this  
22 whole thing which is it's highly tolerant of wet lay ups and  
23 manufacturing defects in compression. And so when you're Boeing,  
24 you do -- you have to be as light as possible. And so they know  
25 it down to a rat's ass.

1           ██████████ Who makes the vehicles like the deep sea --

2           MR. RUSH: The deep seaglider. Boeing.

3           ██████████ That's Boeing.

4           MR. RUSH: Yes, that's why I went to Boeing because I saw  
5 them making the deep seagliders. That's our thing.

6           ██████████ Sometimes --

7           MR. RUSH: ATK does it. General Dynamics does it. They make  
8 housings for inner continental ballistic missiles out of it. They  
9 make all kinds of stuff. You look at what ██████████s doing with his  
10 giant stratolauncher and, you know, carbon fiber's the way to go.

11          ██████████ Boeing does not have internally in the entire  
12 company, does not have the allowance provision and capability to  
13 analyze a structure like ours. They can't do 0-90. It's what  
14 forces them to a totally different design. You can't compare the  
15 two.

16          MR. RUSH: Yeah. And that's because, that's because under  
17 their -- their software, they have to validate and get allowables  
18 for a certain layout (ph.) which requires a bunch of work. So  
19 that they can have rats on -- we know how this is going to respond  
20 to different load structures, and unless they have it, they can't  
21 put it in the software.

22          ██████████ How do you document that?

23          MR. RUSH: So anything, let's move on.

24          ██████████ Can I ask one more question about the glue?

25          MR. RUSH: Yeah.

1           ██████████ You said it has to be the right glue. What kind  
2 of glue is that?

3           MR. RUSH: I have it in the report.

4           ██████████ I mean it's not Elmer's.

5           MR. RUSH: It's in the report. No.

6           ██████████ On, no, no, it's Elmer's big brother.

7           MR. RUSH: Yeah. No, it's -- yeah, we've got --

8           ██████████ Is it specifically for like high pressure  
9 environments or is it --

10          MR. RUSH: Yeah, it's -- this is

11          ██████████ -- just like a regular --

12          MR. RUSH: Yeah, Dr. ██████████ (ph.), I can't remember where he  
13 got the carbon fiber from.

14          ██████████ Yeah. So actually the glue has to be so  
15 specific because the wet lay up which is circular, when we do it  
16 on the mandrel (ph.), we combine that with what we call pre print  
17 (ph.) axials. That has glue already in it.

18          ██████████ In it, yeah.

19          MR. RUSH: And it's real hard.

20          ██████████ Okay. And that --

21          ██████████ So that glue has to react with each other.

22          ██████████ Right.

23          ██████████ It's extremely specific.

24          MR. RUSH: Yeah, the chemistry there is non-trivial and in  
25 the one -- in our third scale where you can look at and see that

1 it basically failed the quarter in, likely that was the prepay  
2 (ph.) which has to get to a certain temperature before the glue  
3 will now merge with the wet stuff. So you basically have the --  
4 you have fibers go in. They get dipped in the resin and then they  
5 get wound like a baseball and then a person hand lays up --

6 [REDACTED] Right.

7 MR. RUSH: So again, manufacturing defects with a squeegee.  
8 You know, you can get bubbles and everything else, and then it has  
9 to go in the oven. And if that inner piece doesn't get hot  
10 enough, then it's not going to -- the glue won't flow and you'll  
11 get what we had where you could see it at quarter in, it just  
12 totally sheered. So we went down and said put thermal couples in  
13 this thing, you know. Original -- his -- [REDACTED] original  
14 estimate of how long it was going to take was something like a  
15 couple of days in the oven.

16 [REDACTED] Ten. Oh, 3 days.

17 MR. RUSH: Three days, and it took how many?

18 [REDACTED] A week.

19 MR. RUSH: A week.

20 [REDACTED] But his total manufacture --

21 MR. RUSH: If you think back when he did the last one, he  
22 probably went with his thumb, you know, on the scale. He is a  
23 very empirical designer. He has his problems but he understands  
24 this more than anyone else, but he's got his flaws. So we go back  
25 and say, this is built way better than the last one. It's larger

1 which is better because the fibers are smaller in relation to the  
2 distance. It's thicker than it should be, and he's taking greater  
3 care, and we've watched it closer, that I'm confident that this is  
4 closer to a 2 1/4 safety factor. But I have -- we have -- we both  
5 have serious concerns. We've had serious concerns with him. I  
6 mean we've had our vendor issues. It's not like we're just going  
7 into this thing blind. I mean there's a reason why he and I flew  
8 down to Venecia (ph.) so much and flew down to see [REDACTED] and  
9 were holding his hand and pushing and making sure we had the  
10 documentation and did all that stuff.

11 UNIDENTIFIED SPEAKER: How's that relationship now?

12 MR. RUSH: He's not going to talk to us because we cut his  
13 bill because we had to spend all this money to go to Unico where  
14 he said he could machine it and he couldn't. His machine couldn't  
15 take it by an inch.

16 [REDACTED] So who's going to make *Cyclops III* then?

17 MR. RUSH: We'll probably find -- there are a number of  
18 vendors who can do it. So even North Sails, they do -- people who  
19 do carbon fiber around mats. One of the reasons I went down this  
20 path was talking to [REDACTED] about his ship, and he had a fiber  
21 optic sensor inside the mats that were all carbon fiber.

22 [REDACTED] So [REDACTED] doesn't have or not [REDACTED]  
23 Mr. [REDACTED] doesn't have the --

24 MR. RUSH: Intellectual property owner.

25 [REDACTED] Yeah.

1 MR. RUSH: Well, he gave it to us. We have -- what you  
2 really need to know is the material and the resin that's used and  
3 the process side, and we'll get -- the next time, we'll get either  
4 BMW, a number of better carbon fiber shops than [REDACTED] [REDACTED]  
5 is this niche, and I went to him because he had all the data from  
6 testing [REDACTED] hull.

7 [REDACTED] Right.

8 MR. RUSH: And so that was the primary vira (ph.) of going  
9 with him. He's getting old. You think he may be getting senile.  
10 He's got heart trouble. You know, he can't stand up for long. I  
11 don't know what was causing him to be a little unusual to say the  
12 least but there are no shortage of people who can do this now that  
13 we have the tool and you have the basics to.

14 [REDACTED] Was [REDACTED] hull pressure tested?

15 MR. RUSH: Yeah, they pressure tested scale models of it.  
16 They pressure tested -- they did -- they were pressure testing the  
17 main one and the glass failed on the front, but they had put, like  
18 we did, giant aluminum plates and they had pressure tested stuff.  
19 They took it to destruction. They put known voids in it. He  
20 spent about \$7 million, which is what we've got to ride on, and  
21 the same thing, you know. [REDACTED] worked with Virgin Galactic and  
22 that didn't end well because he's -- they're all odd dudes.

23 [REDACTED] A weird bug.

24 MR. RUSH: Yeah. They're all odd dudes.

25 [REDACTED] They (indiscernible) on that.

1 MR. RUSH: Yeah.

2 [REDACTED] On that carbon fiber hull (indiscernible) that.

3 [REDACTED] How thick was that?

4 MR. RUSH: It's 7 inches but it's small (indiscernible).

5 It's like 28 --

6 [REDACTED] Yeah, it's small.

7 MR. RUSH: So it's a small tube. So let's keep going here.  
8 Hatch change. We're still working on hatch change. I mean this  
9 thing is, you know, we know that's the number one thing. That  
10 dome swings out. It's going to fall, smash somebody. That's a  
11 death trap. And so there's a lot of work going into the hinge and  
12 the dolly and the restraining mechanism. You know, I was telling  
13 [REDACTED] we might even put an airbag on there, get on the surface,  
14 blow an airbag up so nobody gets hurt. That is an identified  
15 problem, yeah.

16 Forward horizontal support. Yeah, I can put the nuts in it.  
17 I don't know if that's -- it's not -- we weren't ready to -- it's  
18 not being delivered. We delayed this to --

19 [REDACTED] No, he didn't come ask me about that. So we  
20 have it on a list that's being closed out before we actually go.

21 MR. RUSH: Okay.

22 [REDACTED] Yeah, that's fine.

23 MR. RUSH: Carbon fiber (indiscernible), you know, we covered  
24 that, you know. It's there. It's been covered.

25 Ballast bag, hey, that's mine. Yeah, maybe it's got some

1 glue. Maybe it's got some leaks. Maybe the activator doesn't  
2 work. We're not leaving this -- we're not leaving the harbor. No  
3 matter what we do, if I went and paid \$10,000 to go get a rotary  
4 actuator from somebody, we'd still have to test it. We went and  
5 bought the vent valves from Hydro-Lek, pieces of shit. You know,  
6 we had a vent valve wide open. They were, you know, they don't  
7 have good drawings. They didn't have, you know -- I mean you can  
8 go buy expensive equipment that's proven. We've got to prove it  
9 on our hull, and that's all about being incremental. We don't  
10 leave this harbor here until I've got a drop weight because, yeah,  
11 I don't -- fuck, I made that in my basement. It could fail, yeah.  
12 It shouldn't. I mean logically it's an oil filled motor that  
13 should be able to handle it, but I don't know. So I need multiple  
14 backups.

15 Segment 2, yeah, you guys looked at it before you put the O-  
16 ring in there, right.

17 [REDACTED] I know [REDACTED] and I did.

18 MR. RUSH: Yeah. So there were two eyeballs on it. They  
19 torqued it. They put it on. They checked the O-ring.

20 [REDACTED] There was three eyeballs on the torque.

21 MR. RUSH: Non-distressing. So you've got segment 2, okay,  
22 because they were glued onto the -- why's that different than the  
23 first one?

24 [REDACTED] Segment 1 and segment 2.

25 MR. RUSH: Segment 2 is -- it's titanium/titanium and just an

1 O-ring. So it's not glued anything. We've called the segment 1s  
2 are the ones that --

3 [REDACTED] One gets glued onto the carbon. One just  
4 gets glued onto the carbon.

5 MR. RUSH: So those are called segment 1s. So we have two  
6 segment 1s.

7 [REDACTED] They're both called segment 1s.

8 MR. RUSH: Yeah.

9 UNIDENTIFIED SPEAKER: There's an action 4 with a pivot.

10 MR. RUSH: The ceiling face was the one they both inspected.  
11 Same with the aft dome. Aft dome ceiling face, same thing. They  
12 inspected it.

13 Exo -- okay. So dissimilar metals. Yeah, we're going to put  
14 some anodes on it, but the principal metals are -- the dissimilar  
15 metal issue. You've got aluminum, steel and titanium. In that,  
16 the valance of aluminum is the one that loses. It is not -- in  
17 the safety issue, it may be a durability issue but we can put, you  
18 know, magnesium anodes on it. That is the plan. It's not done,  
19 you know, it's not going to matter dunking, you know, here. It's  
20 not going to matter. There area a lot of boats with aluminum and  
21 steel.

22 [REDACTED] But still, that's a design question. The intent  
23 is the way that it is. There's no dissimilar metal issue right  
24 now. Or is there? What is the issue that you're bringing up? The  
25 fact that there isn't any or the fact --

1 [REDACTED] There isn't any anodes.

2 [REDACTED] What's that?

3 [REDACTED] The fact there isn't any anodes on it.

4 [REDACTED] What if we don't need any?

5 [REDACTED] Okay.

6 MR. RUSH: What if the aluminum is anodes?

7 [REDACTED] (Indiscernible) isolated? Well, what if we  
8 don't? So my question to you is how do you know that we do need  
9 it?

10 [REDACTED] Experience with subsea vehicles.

11 [REDACTED] Because everything in the water has one. That's  
12 a good question.

13 [REDACTED] Anodes are so cheap I mean.

14 MR. RUSH: Yeah, we'll put them on.

15 [REDACTED] In the scheme of things, they're so cheap. Why  
16 not I guess?

17 MR. RUSH: Yeah, we can put them on.

18 [REDACTED] I mean --

19 MR. RUSH: We can throw them on. We can replace them. We  
20 have them on the motor thrusters. It's not, it's not a huge  
21 issue. One of the things that's unique about what we do is as  
22 opposed to having a metal hull where you have a huge problem with  
23 ground faults, we're, you know, hugely isolated from all of it  
24 because of the insert and the way everything's dated and not  
25 current. So, it's different than you would see in a metal hull

1 but, yeah, we can throw anodes on it and magnesium would better  
2 than zinc.

3 [REDACTED] But keep in mind from a design perspective, all  
4 right, if we constantly went down the path say, well, why not? It  
5 just doesn't -- they're just small and they don't cost a lot, put  
6 it on there. Eventually you're strap and bolt them to the side of  
7 these things, right.

8 [REDACTED] I get that.

9 MR. RUSH: And more importantly, it's a safety issue. This  
10 is a question of is it maintainable? If we had a problem, you'll  
11 see it. You'll see all kinds of -- where these things are joined,  
12 it'll corrode and start to go. It's not the kind of thing that  
13 happens instantaneously. You end up with a non-maintainable  
14 vehicle because both start to fail and things start to rust out.  
15 That's a maintenance, not a safety issue. But --

16 [REDACTED] But just a question.

17 MR. RUSH: Yeah.

18 [REDACTED] Would having anodes on there potentially prevent  
19 that from happening as opposed to just waiting and seeing if it  
20 happens?

21 MR. RUSH: Correct, yeah.

22 [REDACTED] (Indiscernible) two metals that are put together  
23 because the metals on an electrode negativity scale, you can't  
24 just pick any anode and stick it on there.

25 MR. RUSH: But generally, yeah. And so we -- it's not -- you

1 know, it's a -- to me it's sort of a -- it's not a major point.

2 [REDACTED] But, no, I get that it's not a major point. It's  
3 just that to me it's a -- I'd rather -- I mean I'd rather go and  
4 do this with preventative measures as opposed to --

5 MR. RUSH: Right, yeah.

6 [REDACTED] -- trying to fix it after the fact.

7 MR. RUSH: Correct, yeah.

8 [REDACTED] And be like, oh, shit, I guess we should have put  
9 some anodes on there.

10 MR. RUSH: So take it from this perspective. If you want to  
11 do anodes properly, you need to do a proper analysis of the  
12 structure, where to place them, how much to place them.

13 [REDACTED] Right.

14 MR. RUSH: We have so many other things on the engineering to  
15 do list that this doesn't percolate to the top.

16 [REDACTED] No, I understand that.

17 MR. RUSH: And so, yeah, we can just stick them on and put  
18 them all over the place which is how most people do, but properly  
19 you should analyze the actual structure and know how big they  
20 should be, where they should be. That has to do with are you  
21 going to be in a marina or not? Are we sitting in the water or  
22 sit on a lot? There are a whole bunch of issues. It didn't hit  
23 the top of the engineering let's go analyze this to hell list.

24 [REDACTED] Yeah, not only that, but there's specialty  
25 engineers that focus on this. We were -- was one --

1 MR. RUSH: Yeah.

2 [REDACTED] -- [REDACTED] (ph.) and they came down just to  
3 check out subs and, you know, looked at *Antipodes* and gave us some  
4 recommendations on, you know, that's why we have magnesium sitting  
5 on the thrusters?

6 MR. RUSH: Yeah. Same thing on the ElectroPods and the  
7 anodes.

8 [REDACTED] But to me, you know, this issue is, you know,  
9 there are difficulties and challenges that I think, you know, we  
10 have as OceanGate is, you know, we have basically two different  
11 branches of, you know, we've got this R&D side in development  
12 side, and then we've got the operational side, you know. And so  
13 some of our challenges on this communication on this team  
14 perspective is like we got switching hats between those roles,  
15 right. We have this where we're in this development --

16 MR. RUSH: So part of us is trying normally, engineering  
17 makes the vehicle and operations operate it. In the past,  
18 operations made and operated it which is --

19 [REDACTED] Yeah, and it's just, you know, switching hats  
20 and understanding those different variables is not an easy  
21 transition for people to make.

22 MR. RUSH: (Indiscernible) battery. That's not the final  
23 securing mechanism. We may clamp it. We may band clamp it, but  
24 we're still waiting for the second battery which hopefully it's  
25 here next week.

1 Vertical thrusters, this is just for getting it wet. We're  
2 going to have a flaring (ph.) over them. They'll get tied down.  
3 Same with the horizontal thrusters. We're going to put a right  
4 angle connector on those eventually so they can come in, and we'll  
5 be strapping them down and then we know it's a little gangly.

6 But the real question we have to answer is, you know, what's  
7 our battery life? What's our maneuverability? Can we turn this  
8 thing? Can we, you know, does it function? Does the control  
9 system have the robustness that we need? Or, is it like the  
10 problems we had with *Cyclops I* where the computers are failing  
11 every 5 seconds? That's the answer I want to get as soon as  
12 possible. And having cables dangling around, I could give a shit.  
13 I'm not going to be, you know, before we go up against a wreck,  
14 yeah, we're going to have those things covered. I'm not an idiot.

15 Same thing --

16 [REDACTED] Stockton, I wasn't trying to make you look  
17 like an idiot. On Friday, we agreed that I was going to do a  
18 quality inspection report this week.

19 MR. RUSH: Right, and we talked about --

20 [REDACTED] That's what this is here.

21 MR. RUSH: No, we were going to go through and we were going  
22 to show you everything in the sub, and that's been pushed back.

23 [REDACTED] That was for training.

24 MR. RUSH: No, that was, that was so you could ask questions.  
25 We wanted -- I wanted you to be aware of what was going on the sub

1 so you could ask intelligent questions to say, hey, what is the  
2 fusing? Where is the fuse? Is this fused? Why is this wire  
3 there?

4 [REDACTED] Okay.

5 MR. RUSH: And that's been getting pushed off and the update  
6 meetings have been going. So this is -- part of the reason this  
7 is sort of premature.

8 [REDACTED] This is nothing but the intent.

9 [REDACTED] None of it.

10 [REDACTED] No, of your -- what we're calling this, a  
11 quality whatever.

12 [REDACTED] Yes.

13 [REDACTED] None of this was part of that.

14 [REDACTED] Okay.

15 [REDACTED] What was the intent then?

16 [REDACTED] Part of the handoff.

17 [REDACTED] Part of the handoff? To go through and  
18 understand, how do you turn it on? Like this is where the  
19 breakers are. This --

20 [REDACTED] That's not quality to me. I guess --

21 (Crosstalk)

22 [REDACTED] Last Friday it was agreed at the meeting that  
23 I was going to a quality inspection. That's right. End of story.

24 MR. RUSH: This is true. I did sit down, but we said that  
25 the purpose of the go through was to -- before you could do -- the

1 issue is a quality from an operational perspective. What you did  
2 is a quality from an engineering perspective. I didn't hire you  
3 to be an engineer. I hired you because you understand operations.

4 [REDACTED] Right.

5 MR. RUSH: And so in order to determine the quality from an  
6 operational perspective, you need to know where are the 24 volt  
7 lines? Where are the breakers? Hey, that's not right. That  
8 thing needs a cover. There are a bunch of things operationally.

9 [REDACTED] Well, that wasn't --

10 MR. RUSH: Questioning the carbon fiber was never -- would  
11 have never been in there.

12 [REDACTED] Yeah.

13 MR. RUSH: I didn't you has a carbon fiber expert.

14 [REDACTED] No, you did not.

15 [REDACTED] But shouldn't he as the head pilot and me as a  
16 potential pilot be at least allowed to ask questions --

17 MR. RUSH: Yeah.

18 [REDACTED] -- to have peace of mind --

19 MR. RUSH: You're welcome to ask questions.

20 [REDACTED] Absolutely.

21 MR. RUSH: But, you know, if you ask a question about an O-  
22 ring and we give you our engineering answer to the O-ring and you  
23 say I don't believe it, I don't know what else I can do there.  
24 So, yeah, everybody's welcome to ask all the questions and they're  
25 welcome to see. We've got the acoustic monitoring system, and you

1 can see it, and we've shown it. You can sit there and scrub it  
2 and hit it and see that it works.

3 [REDACTED] We've never hidden any of it.

4 [REDACTED] I'm coming at this from my accounting background  
5 as an auditor.

6 MR. RUSH: Right.

7 [REDACTED] And I can have a client tell me his books are  
8 perfect.

9 MR. RUSH: I know.

10 [REDACTED] I don't trust him.

11 MR. RUSH: Correct.

12 [REDACTED] I mean I may trust him as a person.

13 MR. RUSH: Trust is verifying.

14 [REDACTED] Trust is verifying,

15 MR. RUSH: Correct.

16 [REDACTED] And I feel a little bit like we're getting some  
17 pushback the verification pieces.

18 MR. RUSH: The verification --

19 [REDACTED] Trust me, trust me, trust me.

20 MR. RUSH: The verification is --

21 [REDACTED] And that's difficult.

22 MR. RUSH: The verification is the testing. So the question  
23 is I'm not asking any of the pilots to make an engineering  
24 assessment of the sub. What I'm asking them to do is make an  
25 operational assessment of the sub which is how much testing do you

1 really think you need? And [REDACTED] might say, hey, given our  
2 problem with the previous thrusters, we don't have 100 hours on  
3 the computers. I don't think we're safe. Or, you know, there are  
4 a number of those things we can say, this is the amount of testing  
5 and operational experience I believe we need in this situation.  
6 On something like a 24 volt charging system, it may be, hey, I  
7 don't think we need a lot because I've seen it and it'll work and  
8 maybe we need some other elements for safety. But it's the  
9 testing regimen that we're looking for and that's how we validate  
10 it. So you validate it by testing.

11 Having everybody go over the engineering and having  
12 everybody, you know, look at the certs and the docs and the rest  
13 of that, is irrelevant. What they should be looking at is how  
14 many cycles are there? What should I look at? Can I tell when  
15 this thing has failed. Can I see when there's a component? You  
16 know, can I do a proper pre-dive of this unit? If somebody comes  
17 and says I don't believe this acoustic monitoring. I just don't  
18 believe it. I don't like electronics. I don't want to hear it,  
19 then they shouldn't they dive with us period. If you don't have  
20 confidence in the acoustic monitoring as a method of detecting  
21 failure of carbon fiber, you shouldn't go in the sub.

22 [REDACTED] Ultimately your life is always in the hands and  
23 trusting an engineer. You do that in your car.

24 [REDACTED] Which I get.

25 [REDACTED] You don't verify any of that.

1           ██████████ But they provide me with the manuals so I can read  
2 it and --

3           MR. RUSH: Okay.

4           (Crosstalk)

5           ██████████ But this goes back to what I was saying  
6 earlier is that, you know, we are on *Cyclops II*, *Titan*, we're in  
7 this research and development phase. We need to as a team realize  
8 that we're in this development phase, and we're not going to get  
9 performance reports from engineering during the development of the  
10 vehicle. It's just -- I get what ██████████ saying. We're collecting  
11 data. We're going to get real time data back from this testing  
12 and then come up with a submarine and then determine based upon  
13 that testing what our limitations are for operations. We're going  
14 to have -- we'll have that feedback and then we can make the  
15 determine like what are our operational procedures based upon that  
16 testing and what are out boundaries? Can we operate, you know,  
17 and this will be the large platform as well? What sea safe  
18 boundaries are we going to -- we have to develop that as a  
19 collective team and, you know, based upon the existence of  
20 vehicles.

21           MR. RUSH: In the past, before we had computers, we were able  
22 to analyze everything down to a rat's ass. Build, test, build,  
23 test, you know, and that's intermittent. When you get computers  
24 to be able to do everything, now it's design, design, design, and  
25 they keep going. And what the ocean environment allows us, it is

1 mighty unfriendly on the surface, but once you go under water,  
2 your loads are all known, they're repeatable, and they're linear  
3 in their onset which allows you to do things in the old world  
4 method which is the efficient way to do it. We could spend  
5 forever analyzing what's our descent rate? And we could do a  
6 higher dynamic study and we can do this stuff or we can go out and  
7 test it and tell us what it actually is. And so we're taking --  
8 it completely falls in the face of any -- an Alvin (ph.) design or  
9 anything else, and the reason Alvin costs so much is because they  
10 spent way too long on stuff that was more about meetings and  
11 making sure they had massive consensus as opposed to somebody  
12 saying this is the way it's going to be.

13 All the background developments, whether it was the Saturn 5  
14 program with [REDACTED] or whether it was the early nuclear  
15 stuff, there's always one person who stick their foot down.  
16 Otherwise, you've got a committee that takes forever and costs a  
17 lot.

18 So understanding how, I think from a pilot's perspective,  
19 number one thing, you need to get some confidence about acoustic  
20 monitoring. And, if you can get there and some people can't.  
21 Some people say, look, I'm not going to trust my life to a  
22 computer telling me that the patient's heart is okay. Then this  
23 isn't the right place to be.

24 [REDACTED] Yeah, I have no experience with acoustic  
25 monitoring. So I mean my --

1 MR. RUSH: Once you see them, you'll see how it's made, and  
2 you'll sit there and go, wow, I can hear crackling of shrimp. I  
3 can hear all this stuff. You'll know those things.

4 [REDACTED] Everyone's going to have go through this  
5 process of this transition from R&D to operations and be  
6 comfortable with it.

7 MR. RUSH: Right, before you even get in the sub.

8 [REDACTED] Every one of us have to go through that  
9 process. And --

10 [REDACTED] And, [REDACTED] -- go ahead. Sorry.

11 [REDACTED] Yeah. It's just -- we're all going to have to  
12 go through that process because we're doing new stuff. It's just  
13 part of that path.

14 [REDACTED] Take this out. If I take this lead right here,  
15 .5 millimeter lead, and I will show you, I have 9 times the  
16 instruments installed in that sub right now, that Stockton asked  
17 me to put in. And if I take this lead and I break it on the  
18 outside surface of segment 1, we will see the breaking impulse on  
19 the forward instruments. And I will see also a time delay from  
20 the instruments from the first ones to the last ones.

21 [REDACTED] So how do you know the difference between pencil  
22 lead breaking and something popping inside the vessel?

23 [REDACTED] That's a good question.

24 MR. RUSH: Yeah. And that's why we hired a Ph.D. in  
25 statistics.

1 (Crosstalk)

2 [REDACTED] Or biological sounds, right?

3 [REDACTED] Yeah.

4 MR. RUSH: Yeah, yeah. So we're going to probably have an  
5 external transducer so we can -- things like shrimp crackling  
6 and --

7 [REDACTED] Yeah.

8 MR. RUSH: -- harbor porpoise, we may have a lot of false  
9 positives.

10 [REDACTED] Right.

11 MR. RUSH: And that's the question.

12 [REDACTED] I can answer that. Let's not do it now but I'd  
13 be happy to answer that. If you're really interested in --

14 [REDACTED] Yeah, I -- I mean it is my life on the line --

15 MR. RUSH: Right.

16 [REDACTED] -- so, yeah, I do --

17 [REDACTED] I'll explain it.

18 MR. RUSH: Anyway, let's keep going.

19 [REDACTED] I think what would be beneficial, you know,  
20 outside this meeting is, you know, this is -- like I said, this is  
21 a journey for everyone at OceanGate, and everyone that's going to  
22 be involved in our operations in, you know, having and we have  
23 this moving thing that's going to be developing. We're going to  
24 be, you know, the performance reports based upon testing, you  
25 know, we're all running fast and circling around and making sure

1 that we have this really effective communication. It's going to  
2 be very challenging given our timeline and allowing each, you  
3 know, person to do that process and get an understanding of  
4 complex things that they're not an expert in is going to take  
5 great effort by this team to communicate. I just want to, you  
6 know, we need to think about that holistically at OceanGate and  
7 how to manage that.

8 [REDACTED] Agreed.

9 MR. RUSH: Okay. So the last two items have to do with the  
10 flooring and the vinyl. One of the questions is what is the  
11 appropriate flame test? So there's a flame test for fireproof  
12 stuff for your house because you have an open flame and there's a  
13 rational flame test for a submarine which you don't have an open  
14 flame. You do have wires that short. And the real test --

15 [REDACTED] You have oxygen, right? I mean --

16 MR. RUSH: Well, you've got oxygen but it shouldn't be a high  
17 oxygen -- it's not a high oxygen environment unless somebody  
18 decide to crank it up. So the question is can you take a 24 volt  
19 battery and a wire and cause this thing flame on.

20 [REDACTED] Which flame standard did you use?

21 [REDACTED] [REDACTED]

22 [REDACTED] No, you wrote it on here. It's like some sort  
23 of hit list. You asked me about PBHO. What flame standard did  
24 you use?

25 [REDACTED] Flame standard, you take it outside and set

1 it alight for 3 seconds. All I did was it was a test that [REDACTED]  
2 (ph.) asked me to do which I did --

3 MR. RUSH: On the, on the acrylic.

4 [REDACTED] -- on the tape.

5 MR. RUSH: You did it on the flooring.

6 [REDACTED] No, on the acrylic. That was on flooring. I  
7 did the tape. I let you know on the tape. You told me right at  
8 the 5 o'clock meeting and you said to me, take a sample of that,  
9 HTPE, and set it alight. I did it under instruction from you --

10 MR. RUSH: Okay.

11 [REDACTED] -- which is where it came from.

12 [REDACTED] Sounds good.

13 MR. RUSH: I didn't even look at it.

14 [REDACTED] I just asked you about the standard. I've  
15 already done the test -- did the test long before, and I let you  
16 know that. I also let you know when I saw your little flame test  
17 that it was fine, but you still wrote it. Why? The engineer  
18 already told you it's fine, and I already told you about my  
19 previous tests.

20 [REDACTED] What test did you do?

21 [REDACTED] Why were you testing it if we already tested  
22 it?

23 [REDACTED] Exactly.

24 MR. RUSH: He did ask me. So that's the reason for it.

25 [REDACTED] Okay. But it's going to be tested again. We've

1 already had this conversation.

2 MR. RUSH: So, one of the -- obviously a concern here is to  
3 me it's clear that there is not a lot of confidence on your part  
4 in the engineering that went into this vessel, and that your  
5 experience in other vessels gives you serious concerns about the  
6 safety of *Cyclops II* from the very fundamental level. From the  
7 carbon fiber and then you have serious concerns with the safety of  
8 the test procedure and me going in it and not being  
9 (indiscernible). And you have serious -- you have a lot of  
10 serious -- you have some very serious concerns.

11 [REDACTED] Correct.

12 MR. RUSH: And I don't believe we have alleviated those  
13 concerns in this meeting at this point.

14 [REDACTED] Right.

15 MR. RUSH: And I don't believe we're going to alleviate your  
16 concerns.

17 [REDACTED] Correct.

18 MR. RUSH: That's a problem. You're a great pilot. There's  
19 no question about that.

20 [REDACTED] Sure.

21 MR. RUSH: And, you've done a great job on *Cyclops I* and  
22 *Antipodes*. Clearly *Cyclops II* is not something you are eager to  
23 jump into because it is -- you -- from what you're saying, you  
24 have these serious safety concerns that you're not going to get  
25 comfortable with.

1 [REDACTED] I do, and this is the first day we've ever  
2 had a proper sit down, all of us, to discuss all of this, okay. I  
3 now there's a lot in terms of PBHO guidelines, the viewport. We  
4 know the viewport may not make it --

5 MR. RUSH: Um-hum.

6 [REDACTED] -- okay. We know about the carbon fiber,  
7 okay. We've all seen the samples. The samples, they're a mess.

8 MR. RUSH: They're not samples.

9 [REDACTED] They're not samples.

10 MR. RUSH: They're scrap.

11 [REDACTED] They're cut off (indiscernible). They're  
12 scrap off the ends.

13 [REDACTED] They're scrap.

14 [REDACTED] But, my thing is, a genuine question. Is  
15 there anywhere that can do non-destructive testing on that hull to  
16 verify the integrity. And I know in a lot of produce that have  
17 been built out of carbon fiber, they do have voids which is  
18 acceptable in the space industry and stuff like that and the  
19 boating industry. It's acceptable.

20 What are we saying the baseline against right now to between  
21 you and the water under cover, dropping yourself down to 4,000  
22 meters? What is the justification there in doing that without  
23 having any proper baseline data --

24 MR. RUSH: Right, and I --

25 (Crosstalk)

1 MR. RUSH: -- talked to Boeing about the same issue. I said  
2 how do we inspect this? We have a 5 foot diameter CAT scan, but  
3 it will not detect micro voids. It'll only gross delaminations.

4 [REDACTED] So why don't we do it?

5 MR. RUSH: Because it's got steel on it now. I can't be done  
6 now. And my question is, the actual test, we get a perfect test  
7 environment on every goddamn dive, something you can't get in  
8 flight. Every dive. We go through 10 feet, 20 feet, all the way  
9 down. We get the exact same pressure and once we get down a  
10 couple thousand meters, the exact same temperature. Every dive.  
11 And that gives you the ability to test. Every dive is collecting  
12 data. We're going to get heuristic (ph.) data that will say,  
13 shit, I'm at 2,000 meters and it's noisier than it was yesterday.  
14 You better call it off. That's what we've been focusing on. That  
15 is the value. That allows us to do this. And so going and  
16 getting something that comes up and says there are voids or  
17 there's not voids, I don't even care if they tell me there's a  
18 1,000 voids. I'd still go do it because I want to see the data as  
19 it goes down. I am confident that even if there was massive  
20 voids, it's (indiscernible) fault. It might only be good to 2,000  
21 meters.

22 [REDACTED] It may only be good for 20 meters.

23 MR. RUSH: No.

24 [REDACTED] You don't know.

25 MR. RUSH: I don't know, but I mean that's not rational.

1 [REDACTED] You can't -- nobody here can say --

2 MR. RUSH: Exactly.

3 [REDACTED] -- what the hull is good for.

4 MR. RUSH: Right. Exactly, exactly. I can tell you this --

5 [REDACTED] You can bring your results back from the  
6 dives.

7 [REDACTED] Right.

8 [REDACTED] You get your (indiscernible) in your crack  
9 lines.

10 [REDACTED] That's right.

11 [REDACTED] Okay. What's to guarantee that those voids  
12 were there before you even did the first dive in the marina --

13 MR. RUSH: Correct.

14 [REDACTED] -- or after that last dive where Stockton  
15 stated we're scrapping the hull.

16 MR. RUSH: I'll ask you this question.

17 [REDACTED] What?

18 MR. RUSH: I -- do you think that hull can do 20 feet from  
19 the marina?

20 [REDACTED] Stockton, I don't know.

21 MR. RUSH: Okay.

22 [REDACTED] That's my answer. I am no carbon fiber  
23 expert.

24 MR. RUSH: Okay.

25 [REDACTED] All I'm asking for is information here.

1 MR. RUSH: Okay.

2 [REDACTED] And information, I've got it now. You don't  
3 have information.

4 [REDACTED] No, we do.

5 [REDACTED] Hold on.

6 [REDACTED] We have all the information we need.

7 [REDACTED] Right. Okay.

8 [REDACTED] No, no, no. You can't dismiss that.

9 [REDACTED] I haven't dismissed it because I asked to see  
10 it.

11 [REDACTED] You don't have to see it.

12 [REDACTED] [REDACTED]

13 MR. RUSH: Okay. Let's back up. Let's get to what I was  
14 getting to at the outset --

15 [REDACTED] Yes, sir.

16 MR. RUSH: -- which is you're not comfortable with this hull  
17 nor are you comfortable with our test plan. Is that right?

18 [REDACTED] Listen, the main thing here is I am  
19 highlighting issues that you, you and you have seen on the shop  
20 floor. Even your wife pointed out that O-ring, you know, the  
21 hole. She's like --

22 MR. RUSH: You're not an engineer.

23 [REDACTED] I know. But --

24 MR. RUSH: You didn't have the hat on, too.

25 [REDACTED] What's that?

1 MR. RUSH: You didn't have a helmet.

2 [REDACTED] Oh, yeah.

3 MR. RUSH: She's constantly pointing that out.

4 [REDACTED] Yeah, I know that, but honestly, we don't  
5 know what's going to happen to that carbon, okay. Any sort of  
6 testing we do, we should be doing unmanned to start.

7 MR. RUSH: That's your opinion.

8 [REDACTED] Absolutely, that we're all entitled to.

9 MR. RUSH: I understand.

10 [REDACTED] We're all entitled to.

11 MR. RUSH: And where I'm getting to this thing is this is the  
12 future of the company. This is the path I've determined to take.  
13 This is the test program I've determined to take, and I've been  
14 working on the engineering, and I'm comfortable with it. And  
15 that's what -- I'm the only SOB who's going in this thing. And  
16 I'm not going to force anybody to go into it, and they can all  
17 look at it later. You're not comfortable with that.

18 [REDACTED] So why the change of mind for getting it  
19 scanned --

20 MR. RUSH: Right.

21 [REDACTED] -- when it was agreed it was going to get  
22 scanned --

23 MR. RUSH: Because I've asked --

24 [REDACTED] -- even in all the documentation.

25 MR. RUSH: I asked -- after I talked to Boeing and they said

1 basically you're not going to get any useful data out of it.

2 [REDACTED] Because the loss with the --

3 [REDACTED] It would show big voids but it wouldn't show  
4 little voids. It will give you details.

5 [REDACTED] No, no, no.

6 [REDACTED] That's what Stockton said. It may show big  
7 voids. So why not do it?

8 MR. RUSH: Because we chose not to because, one, we couldn't  
9 a machine that would do it. You know, maybe if we had looked in  
10 the lumber industry. We weren't doing it with Boeing.

11 [REDACTED] Yeah.

12 MR. RUSH: So then the question of could we get to Boeing? I  
13 chose a lot of things not to do. Yeah, I could go down in Alvin  
14 pack (ph.). Give me \$42 million. I'll go down in Alvin pack.  
15 I'm willing to not go down in Alvin. We're doing things  
16 differently, and that's, that's the problem. We're doing things  
17 significantly differently than any program you've ever been on.

18 [REDACTED] Exactly.

19 MR. RUSH: And that is making you very nervous.

20 [REDACTED] These issues are --

21 MR. RUSH: And I'm not going to get over that.

22 [REDACTED] I know it. These issues are making me  
23 nervous --

24 MR. RUSH: I understand.

25 [REDACTED] -- for putting people in --

1 MR. RUSH: I understand.

2 [REDACTED] This is visible. It's visible.

3 MR. RUSH: I understand.

4 [REDACTED] Okay. Now, the viewport, it's visible.

5 MR. RUSH: Right. Okay.

6 [REDACTED] Okay. So deviation is from the original  
7 plan.

8 MR. RUSH: I understand.

9 [REDACTED] The original plan was June or July that  
10 vehicle was going unmanned --

11 MR. RUSH: Correct.

12 [REDACTED] -- to Penn State (ph.).

13 MR. RUSH: Yeah, it was.

14 [REDACTED] Yeah.

15 [REDACTED] It was delayed.

16 MR. RUSH: Yep.

17 [REDACTED] Why?

18 MR. RUSH: Do you know why?

19 [REDACTED] Because it was delayed.

20 [REDACTED] No, no, not at all.

21 MR. RUSH: There were multiple reasons.

22 [REDACTED] Not our fault.

23 MR. RUSH: One was they wouldn't let us put in there.

24 [REDACTED] It was the displaced volume. They wanted us to  
25 fill the inside no less than 94 percent (indiscernible).

1 [REDACTED] Well, this is news.

2 MR. RUSH: Okay. So we made the determination, no, and we'll  
3 do it this way.

4 [REDACTED] Okay.

5 MR. RUSH: And that will happen, and that's the reason we're  
6 able to get farther than anybody else. We're being more nimble,  
7 and we're doing things that are non-standard and that is, that  
8 that is not something that you are going to get comfortable with.

9 [REDACTED] It's not a case of get comfortable with.  
10 Stockton, I came aboard this project. I moved my family from the  
11 UK.

12 MR. RUSH: I understand.

13 [REDACTED] This project, okay, had a plan. We deviated  
14 from that plan so much over the last 2 years even before [REDACTED]  
15 started, okay. It's just went a different angle completely.  
16 You've got to agree with me.

17 MR. RUSH: I don't know if I'd say a different angle. It has  
18 changed, and I'm -- and it will change a lot. The business has  
19 changed. You haven't seen nothing. You want to talk to original  
20 investors what we're going to do here. That's a small nimble  
21 business.

22 [REDACTED] So for you to turn around and say I am weary  
23 of this. Yes, I am because there are areas in here --

24 MR. RUSH: I understand.

25 [REDACTED] -- that with my experience I can see there

1 being issues, and I'm allowed that opinion.

2 MR. RUSH: You are.

3 [REDACTED] I am allowed that opinion.

4 [REDACTED] But that doesn't call for an inspection report.

5 That's a --

6 [REDACTED] [REDACTED] I will do what I want in terms of the  
7 inspection report. This was an inspection report. We spoke about  
8 it last Friday that Stockton turned around and said, you do it.

9 MR. RUSH: I didn't say do a report. I said we were going to  
10 go through the sub.

11 [REDACTED] No.

12 MR. RUSH: I did not say I was going to do a report.

13 [REDACTED] It wasn't made clear. I said to you upstairs  
14 in the afternoon on the Friday afternoon, we were talking about  
15 the whole life support thing, okay. I said, I'm going to go  
16 through this with a fine tooth comb. You never questioned that.

17 MR. RUSH: Right, and I didn't say write a report on it.

18 [REDACTED] Well, what's the objection with writing a  
19 report?

20 MR. RUSH: You first figure out what's going on and ask the  
21 questions and get an answer so you can have an intelligent answer  
22 to it.

23 [REDACTED] That is -- that's a misstatement because I  
24 have asked him, I have asked you and I have asked you --

25 MR. RUSH: You don't believe the Parker O-ring. Even today

1 you don't.

2 [REDACTED] What's the ceiling surface?

3 [REDACTED] [REDACTED] --

4 [REDACTED] No, no.

5 [REDACTED] [REDACTED] --

6 MR. RUSH: Let's stop. Let's keep emotions out of this. All  
7 I'm saying is we've reached an impasse.

8 [REDACTED] Um-hum.

9 MR. RUSH: Okay.

10 [REDACTED] Yeah.

11 MR. RUSH: I think the proper resolution here, if you're up  
12 for being a contract pilot, is for you to be a contract pilot and  
13 to not be in --

14 [REDACTED] Is this a conversation we have with [REDACTED] --

15 MR. RUSH: What?

16 [REDACTED] -- sitting in here? You want me to be a  
17 contract pilot. Is this not a conversation we should be having on  
18 our own, not the engineer and director sitting beside us?

19 MR. RUSH: If he'd like to leave.

20 [REDACTED] I think this is going a different tangent  
21 here. So I think --

22 MR. RUSH: Sure.

23 [REDACTED] -- we should sit down and discuss this.

24 MR. RUSH: Well, he's your direct superior. So he will sit  
25 in.

1 [REDACTED] Okay.

2 MR. RUSH: So my point is given that we -- you stated you're  
3 not going to get comfortable certainly the test part of the  
4 project, with me being in the sub, that's not something you will  
5 ever get comfortable with.

6 [REDACTED] These issues need to be closed out.

7 MR. RUSH: I understand.

8 [REDACTED] I -- these are serious issues.

9 MR. RUSH: I understand, and I believe --

10 [REDACTED] The risk is high here --

11 MR. RUSH: I understand.

12 [REDACTED] -- especially with this.

13 MR. RUSH: I understand.

14 [REDACTED] It's not been made clear why I'm not being  
15 given the information from [REDACTED]

16 MR. RUSH: Correct. Yeah. I've seen the information. I --

17 [REDACTED] Because it ain't good.

18 MR. RUSH: Yeah, because [REDACTED] doesn't know what the  
19 facts are period. And it's fine. You can, you can -- it's fine  
20 to poke holes and ask questions. The challenge is that you -- I  
21 can give you an answer and you disagree and you stick with your  
22 approach, and that -- and you have an opinion, and you will not --  
23 I'm not going to get you off it. If it's not PBHO certified, you  
24 know, the PBHO certification means absolutely nothing, you're not  
25 going to be comfortable with it. You're not going to be

1 comfortable, what you've said with the carbon fiber hull and a  
2 human being going in on the first dive.

3 [REDACTED] The main thing I'm concerned with, Stockton,  
4 is you're throwing yourself down 4,000.

5 MR. RUSH: I'm not throwing myself to 4,000 meters. I'm  
6 incrementally testing it until I get down there.

7 [REDACTED] This is the thing. [REDACTED] and I have  
8 discussed this. I've sent [REDACTED] a test proceed that should be  
9 done properly, okay, in terms of that system going down on a wire.  
10 You judge it using your strain gauges, your test gauges, you get  
11 the data, analyze it. It's staircasing.

12 MR. RUSH: I understand.

13 [REDACTED] Yes, it's the industry. I've been in it long  
14 enough --

15 MR. RUSH: I understand.

16 [REDACTED] -- to know how the industry works. Nobody  
17 has had an accident for such a long time --

18 MR. RUSH: I understand.

19 [REDACTED] -- for that reason.

20 MR. RUSH: I understand.

21 [REDACTED] Stringent testing.

22 MR. RUSH: I understand.

23 [REDACTED] Okay.

24 MR. RUSH: Okay.

25 [REDACTED] *Cyclops*, it's not classed. The hull may be

1 classed, okay, fair enough, but in terms of best system --

2 MR. RUSH: Right.

3 [REDACTED] -- it's all new to everybody.

4 MR. RUSH: I understand.

5 [REDACTED] So why are we not even trying to follow the  
6 guidelines from the industry in terms of doing the pressure  
7 testing.

8 MR. RUSH: There's an industry hanging on a rope guideline?  
9 First of all, hanging it on a rope is not, is not a zero  
10 probability solution. It is not without risk. It is not without  
11 difficulty. And, I am confident that with an incremental stair  
12 step approach down, having a person is just as safe as having a  
13 (indiscernible). You try to -- you take a 10,000 pound load off  
14 the back of a ship on a 3 mile cable, that is not a small  
15 endeavor. This is not like taking, you know, *Suds* out dropping it  
16 down 400 feet. That has it's own engineering challenges. I've  
17 decided this is how I am going to do it. You are not going to  
18 ever be comfortable with that.

19 [REDACTED] I -- my main concern here, Stockton, I get  
20 the gung-ho thing, wanting to go and do that. Again --

21 MR. RUSH: It's not a gung-ho thing.

22 [REDACTED] Stockton, I think you have to listen to me  
23 here. The main thing which you are sweeping under the carpet here  
24 is if something goes wrong with you being in that submersible,  
25 okay, you're topside support, those are the ones that are left

1 with the outcome of. Those are the ones that are left to answer  
2 to the accident investigation team. OceanGate is done.

3 MR. RUSH: I understand.

4 [REDACTED] Everybody says, it'll just be Stockton's  
5 wife. That's the only person you can be liable for. Nonsense.  
6 The accident investigation team will come down.

7 MR. RUSH: I understand.

8 [REDACTED] It would shut the industry down.

9 MR. RUSH: I understand, and that's bullshit, but that's  
10 fine.

11 [REDACTED] Okay.

12 MR. RUSH: You know, the industry likes to say that all the  
13 time. What's [REDACTED] [REDACTED] do?

14 [REDACTED] That man is different. That man does not  
15 have -- yeah, he is different. Very different.

16 MR. RUSH: If [REDACTED] [REDACTED] has an accident, will it shut the  
17 industry down?

18 [REDACTED] I'll agree with him on -- I am uncomfortable with  
19 you doing the manned test as well, and I've told this to [REDACTED]  
20 (ph.) that the thought of going down to the Bahamas and bring back  
21 a dead body would mentally fuck everyone who is down there, and  
22 that's scares the shit out of me.

23 MR. RUSH: Okay. And if you worked for Virgin Galactic,  
24 you've got three dead bodies. I mean that's the nature of casting  
25 things in the extremes.

1           ██████████ Understood. I'm just saying it's not just you.

2           MR. RUSH: By the way, you don't be bringing my body back.

3           ██████████ Me, I know.

4           MR. RUSH: I understand the concept and so this isn't for  
5 everyone, and that's where I'm getting to, which is this project  
6 is not for everyone. Okay. And the question is -- what I'm  
7 getting to, it's clearly not an approach that you're comfortable  
8 with. You don't want to be associated with it. You don't want me  
9 to die and --

10          ████████████████████ I never said I don't want to be associated  
11 with that. I am voicing my safety concerns which as an employee  
12 of the company.

13          MR. RUSH: I understand.

14          ████████████████████ I've been here for nearly 3 years now,  
15 Stockton. I've seen the way it was. I am addressing what I view  
16 as safety concerns, concerns I have mentioned verbally --

17          MR. RUSH: Correct.

18          ████████████████████ -- which have been dismissed by everybody.

19          MR. RUSH: I have -- no, I've listened to them and I have  
20 given you my response to them and you think my response is  
21 inadequate.

22          ████████████████████ Right.

23          MR. RUSH: Okay. So that's the impasse we're in.

24          ████████████████████ You know, I'm going to keep on coming back to  
25 this because where we're at right now is we are -- we're at the

1 infancy of this -- of operating this sub. And we are -- we're  
2 jumping ahead and jumping to conclusions based upon little  
3 operational facts and little -- we're just making a lot of  
4 assumptions, and that's why it's so critical through this  
5 development process that we collect accurate data. We have  
6 performance reports from engineering. We, you know, and we can  
7 take that quantitative data and move forward. And we've done that  
8 with the development of the Mars Program, you know. In  
9 transferring that over, we've developed a new vehicle based upon,  
10 you know, our performance of that, you know, in carrying that over  
11 into the *Cyclops* Program, and that's --

12 MR. RUSH: Yeah, everybody said that wouldn't work. Even [REDACTED]  
13 said it wouldn't work, you know, but --

14 [REDACTED] But the fact of the matter is that --

15 MR. RUSH: Everything I've done on this project is people  
16 telling me it won't work. You can't do that. It will not happen.  
17 You can't -- starting with you can't dive here in zero visibility  
18 with an inexperienced crew on wrecks. You know, people didn't  
19 understand what sonar could do for you. I've been fighting this  
20 ting since I started this business, and I don't want to fight it  
21 with you. And I don't want to put you in a position that you are  
22 feeling like you've been badgered into signing off of me going and  
23 killing myself. I have no desire to die. I've got a nice  
24 granddaughter. I am going to be around. I understand this kind  
25 of risk, and I'm going into with eyes open and I think this is one

1 of the safest things I will ever do, you know, a lot safer than  
2 flying the first plane I ever built made of carbon fiber with a  
3 300 horsepower engine on it.

4       So I have no desire to die, and I'm not going to die. What  
5 may easily happen is we will fail. We will get down there and we  
6 will find that the acoustic monitoring has, you know, fails after  
7 10 hours or gives false -- too many false positives or that the  
8 thing is noisy or the dome is creaking because we're going to be  
9 measuring that or it starts to craze. I can come up with 50  
10 reasons why we have to call it off and we fail as a company. I'm  
11 not dying. No one dying under my watch period. You don't agree  
12 with that, and I don't want to put you in that position. And  
13 that's why I'm saying contract pilot may make the most sense  
14 because I know you're comfortable with the *Antipodes* and I know  
15 you're comfortable with *Cyclops I*.

16       But, I can't have you here -- one, I can't force you to work  
17 on a project that you think has the potential to kill me and  
18 destroy an industry and participate in that activity. And I'm not  
19 going to do what you want. That's the impasse.

20       ██████████ I don't want to speak for ██████████ here, but for  
21 myself, and this -- my frustration partially comes from obviously  
22 my background is accounting. So this is all brand new to me, and  
23 what I know, I know from diving and pressures and that sort of  
24 stuff. The frustration is trying to get additional knowledge from  
25 ██████████ he's not here to defend himself. He puts up walls. He

1 stops you. I want to know this stuff and granted he's, you know,  
2 willing to teach about strain gauges and that's great. But, I  
3 feel like everything else is trust me, I'm an engineer, and you  
4 don't need to see that.

5 [REDACTED] So do I.

6 [REDACTED] And that's frustrating. This group should be the  
7 most open group. We should be talking with each other constantly,  
8 pilots, engineers, operations. We should all be on the same page,  
9 and it's an us against them, and that --

10 MR. RUSH: That's very --

11 [REDACTED] -- that's going to kill this company.

12 MR. RUSH: Oh, yeah, yeah, I know, and it's been there for a  
13 number of years and it's what I brought up, you know, months ago,  
14 that is what will kill the project, yeah.

15 [REDACTED] And I mean I hate to throw [REDACTED] under the bus, but  
16 he --

17 MR. RUSH: He will talk your ear off if he wants, but he  
18 won't talk your ear off if he thinks you're going to criticize and  
19 he needs to get something done and he just comes to the table but,  
20 you know, he wants to be --

21 [REDACTED] But sometimes if you just ask a question, it's  
22 like, hey, can I see that? I mean I don't fully understand why  
23 he's so unwilling to let us --

24 MR. RUSH: They don't like each other. I mean that's --

25 [REDACTED] I get that, but for him to just say, no, you can't

1 see it.

2 MR. RUSH: Yeah.

3 [REDACTED] Because -- and I mean for -- he's not saying it in  
4 so many words, but he's saying you're too dumb to review this  
5 stuff.

6 MR. RUSH: Right. No, what you'll see, what his report said,  
7 if -- what [REDACTED] has said, if the shape is like this, it would be  
8 good to 3,000 meters. Because we have material here, he says  
9 he'll only certify it to like 1,000 meters. I'm like really.  
10 That's interesting. And I talked to him at length about that. He  
11 doesn't have any real data for this. He says, well, it's like a  
12 cathedral. A cathedral's having gravity. And I keep going back  
13 to [REDACTED], because it's long. You can't have a short conversation  
14 with [REDACTED]. I said, tell me this. Will it craze? Will it creek?  
15 Will I have warning that it's going to fail? And he said, yes.  
16 And then he said, so what's your back up plan? If you're in the  
17 Bahamas and it gets to 2,000 meters and this thing is creeping and  
18 crazing, you're screwed. I said we have a back up plan. He wants  
19 to know, what is it? I'm not going to tell you because you're a  
20 pain in the ass. You've lied to us about thrusters. I didn't say  
21 that but, you know, we'll have a steel plate that we can put in  
22 there and finish our testing.

23 It's going to be a bit of a problem because we're not going  
24 to have a viewport until the machine went in, but we do have a  
25 back up plan.

1           ██████████ So is it basically like a steel O-ring that you're  
2 going to --

3           MR. RUSH: No, it's literally a steel plate like thing.

4           ██████████ A steel plate. You're just going to cover it.

5           MR. RUSH: Yeah, we'll cut out the inside and Rayotec can do  
6 an insert glass fitting for a pressure house --

7           ██████████ And steel and titanium.

8           MR. RUSH: Yeah, so that's what the housing's for, you know,  
9 is okay. What's the shape? Should it be steel? Should it be  
10 aluminum? How much of a plug and all that. So where does it sit  
11 it transfers the load properly, but those are things you don't  
12 have confidence in.

13          ██████████ Well, we don't have confidence in them because  
14 we're not being told about them.

15          ██████████ Yeah, we're not being told. Well, that's it,  
16 Stockton. We're not getting answers. We're not getting correct  
17 answers. It's just -- it's been a problem and there has been a  
18 problem since day one, and we have been trying to make it work,  
19 that relationship thing, and --

20          MR. RUSH: That goes both ways. He says he's been trying. I  
21 get he said, she said from all of this. So the fact is I know.  
22 I'm getting all the answers and I'm the guy who's listening to  
23 everything that's ██████████ saying, everything that ██████████  
24 saying, everything that Boeing's saying, everything that ██████████  
25 ██████████ saying, ATK, TV. I'm the guy who's collecting all that

1 data, okay. It sits here. And if you don't have confidence in  
2 the CEO, then that's the wrong place to be, and that's what it  
3 comes down to. I'm not -- and anybody can come ask me. Have I  
4 ever, you know, told you -- come and ask me. What is this  
5 acoustic monitoring system? I know all this stuff. I talk to him  
6 all the time. And I haven't rejected somebody and said I'm not  
7 going to tell you. I'll tell you. I just told you what the  
8 acrylic is. According to [REDACTED], he's like, it won't work at all.  
9 And why did he say that? Because he wants to sell us another one.  
10 He had more acrylic. He said, why don't you buy one like this?  
11 Because that will make it support 1,000 meters. And I said  
12 really. But it's going to distort just like the *Antipodes*. I  
13 want the one that's flat. If it doesn't work, I could go to that  
14 or I'm going to actually go to the plate.

15 And so, you know, I have all that data and I'm happy to share  
16 it. I give a damn what he says, but I'm the guy who's been  
17 talking to him. And that's what, you know, offends me is, you  
18 know, I've been in this thing. I've been getting this data. I  
19 have been collating from experts all over the planet, and I'm  
20 still never going to be able to convince you. You've got a  
21 history. I know. You've got a history of testing --

22 [REDACTED] A lot.

23 MR. RUSH: -- stuff under and seeing things.

24 [REDACTED] A lot.

25 MR. RUSH: I understand. And I'm never going to convince you

1 that's what -- that's the problem.

2 [REDACTED] To me, these --

3 MR. RUSH: I know.

4 [REDACTED] -- these are serious issues, Stockton.

5 MR. RUSH: I understand that. You've said that. I  
6 understand that. I mean it's health and safety.

7 [REDACTED] I'm not talking about something that's in a  
8 car and it's going to fall apart, or whatever.

9 MR. RUSH: I understand.

10 [REDACTED] This is pressure bearing.

11 MR. RUSH: I understand.

12 [REDACTED] This is intense pressure.

13 MR. RUSH: I understand that. I understand.

14 [REDACTED] I want this project to work. I came over  
15 here before this project started.

16 MR. RUSH: I understand you do. I understand you want this  
17 project to work but I am telling you, I understand that. And just  
18 told me what the failure was.

19 [REDACTED] Stockton, it's going to leak.

20 MR. RUSH: Okay. Am I going to die because it leaks?

21 [REDACTED] It's going to leak.

22 MR. RUSH: An I going to die?

23 [REDACTED] But --

24 MR. RUSH: Am I going to die?

25 [REDACTED] Get -- I mean honestly, we've not obviously

1 exhausted the amount of companies that could be doing scounding  
2 (ph.) of the hull to show what it's like. There's two samples  
3 sitting in the shop floor up at --

4 MR. RUSH: Those are not samples.

5 [REDACTED] They are --

6 MR. RUSH: They are scrap material.

7 [REDACTED] -- segments from carbon hull.

8 MR. RUSH: They are scrap. That's called scrap.

9 [REDACTED] Okay.

10 MR. RUSH: A sample is something that is representative of  
11 the primary. If you look at those pieces of scrap, they're shit,  
12 not so shitty, sort of shitty, looking better. The only part that  
13 matters is the part that's cut off. You look at that surface.  
14 You start looking at the rest of it, yeah, it was all back and  
15 forth. That was always supposed to be a cut off. It is scrap.  
16 So you can draw a picture.

17 Let's get back to the fact. The fact is we're not going to  
18 get there. You're not going to get comfortable with my approach.

19 [REDACTED] I disagree with your decisions.

20 MR. RUSH: I understand. Yeah. I mean that's  
21 insurmountable.

22 [REDACTED] That's, you know, that's my question. You  
23 always -- you know, we have this test plan here or you some test  
24 profile, right. We have 40, close to 40 days of testing here in  
25 Everett before we go to the Bahamas. Is that, you know, we talked

1 about maybe delaying the Bahamas. If we can -- if we don't fit  
2 those profiles or we run into test points within, you know, this  
3 development --

4 MR. RUSH: Yeah, right.

5 [REDACTED] -- you know, and we're way off.

6 MR. RUSH: Then we could start at 50 meters.

7 [REDACTED] Yeah, whatever. We have these anomalies, and  
8 how --

9 MR. RUSH: That's what [REDACTED] even talking about.

10 [REDACTED] And that's, you know, part of this development  
11 of this program is we have to collect these data points and  
12 there's real world testing to take place and, you know, we all  
13 have to do this journey and be comfortable with that. You know --

14 MR. RUSH: And I don't want to force anybody down the  
15 journey.

16 [REDACTED] Yeah, and -- but with that said, you know,  
17 we're going to have, you know, I've talked to [REDACTED] about, you  
18 know, the request for information, the disclosure of things.  
19 We're going to have all sorts of questions, you know, from  
20 different departments on how to behave and how to maintain and,  
21 you know, so this upcoming meeting that's for now Monday, is going  
22 to answer some of those, but we're still in this transitional  
23 period, and we're going to ride this transitional period all the  
24 way through the Bahamas, and then come up with operational  
25 procedures based upon that success or those anomalies that we run

1 into.

2 [REDACTED] What's this meeting on Monday?

3 MR. RUSH: It's to review the systems.

4 [REDACTED] It's a systems review, and that's what [REDACTED]  
5 walk talking about, you know, talking about, okay, will this break  
6 or does this? This is how you turn on *Cyclops II*. This is how  
7 you fire up the computers. This is, you know, the basic going  
8 through the systems that engineering's been working on and  
9 developing and starting that transition to operations but at the  
10 same time, we are still in development mode, and things are going  
11 to be changing, right. We have -- we know that some things have  
12 been slapped together, you know, like for example, the thruster,  
13 you know, has got all sorts of different types of hardware on  
14 there. That's not going to the Bahamas and certainly not going  
15 out to, you know, *Titanic* with three different types of fasteners  
16 on a thruster mount.

17 MR. RUSH: There won't be anything like that.

18 [REDACTED] But, you know, that was available, what was in  
19 the shop, and -- but to me, I'm not going to sign off from  
20 operations for that to go out in a case like that. Is that fine  
21 for testing in the marina? If we have a rusty fastener, is that  
22 the end of the world? Or if we have a missing anode, you know, I  
23 don't think it's ideal but it's -- I'm not going to say, no, we  
24 can't go do a dunk a here and, you know, just because we are going  
25 to have a little bit of rust and, you know, but there's certain

1 things that we are going to make the determination if we don't  
2 have the right information in from this upcoming brief, we're  
3 going to say, we're not going to put a person in it until this.

4 MR. RUSH: And the brief is not a release to put a person in  
5 it yet.

6 [REDACTED] Correct. Yeah, yeah.

7 MR. RUSH: We're getting at the process.

8 [REDACTED] It starts that --

9 MR. RUSH: Right.

10 [REDACTED] -- dialogue. The dialogue to me has not been  
11 well established and it has not been as good as we would all like,  
12 but to me that's just an open book that we're all going to write  
13 together and get down this path so we have an operational sub and  
14 we have a successful program. That's the key to me. That's --  
15 how do we, all at OceanGate, make this a successful program  
16 because this is our goal. We've got a very tight timeline to do  
17 it.

18 MR. RUSH: So let's go back to square one.

19 [REDACTED] Well, here's -- I'm putting my HR hat on here.

20 MR. RUSH: Yeah.

21 [REDACTED] You know, what -- I guess what do you need? I  
22 mean what would make you comfortable with continuing to be the  
23 director of marine operations here? Is it -- are you in an all or  
24 nothing like all of this needs to be -- I have to have the hull --

25 MR. RUSH: Scanned.

1 [REDACTED] -- scanned. I have to --

2 [REDACTED] I would like the hull scanned, yes,  
3 absolutely.

4 [REDACTED] Is that -- I guess the question is, is that a --  
5 the hull has to be scanned or I can --

6 [REDACTED] Cannot sign off on it?

7 [REDACTED] Yeah. I mean are you there or --

8 [REDACTED] I don't care. Are you saying it? It does  
9 not matter what I say. That's my point, right?

10 MR. RUSH: That's why I think we're at an impasse because you  
11 have made it clear. These things have to be addressed to your  
12 satisfaction, not to my satisfaction, to your satisfaction. And  
13 on top of that, there's no way you're going to be comfortable with  
14 me going in the sub.

15 [REDACTED] Is that --

16 MR. RUSH: Those are the points that are pretty clear.  
17 You've stated that pretty clearly.

18 [REDACTED] I don't if there's any option. What they  
19 are, I don't know. I mean there's ultrasonic. There's x-ray.  
20 There's --

21 MR. RUSH: I've talked to a bunch of folks. Good luck. I  
22 mean really because we had the same thing with the -- we talked to  
23 [REDACTED] about doing this so we could qualify in case we had a  
24 problem in the future and, you know, he's looked at a bunch of  
25 stuff, but again, I've given you my opinion of [REDACTED] I've

1 talked to the Boeing guys. It's not easy. Nobody's made a hull  
2 like this, 5 inches thick of carbon fiber and particularly now  
3 it's got two titanium ends, you just took a whole bunch -- the  
4 area that you're most concerned about is the very first part.  
5 It's a concern that Boeing has. It's Boeing has. It's going to  
6 broom (ph.) out, and that's where you're going to end up having  
7 the biggest problems. Guess what? That's not encapsulated  
8 titanium. You ain't going to be able to handle that.

9 [REDACTED] How much is the width on the -- I mean if this is  
10 the carbon fiber, how much is --

11 MR. RUSH: It ain't much.

12 [REDACTED] Probably like your finger size.

13 [REDACTED] Oh, okay.

14 [REDACTED] You've answered my questions. So.

15 MR. RUSH: Well, I have, not to your satisfaction but I have  
16 answered them.

17 [REDACTED] Correct.

18 MR. RUSH: Yeah. Okay. And having you have such a deep  
19 seated opinion that the approach that we are taking, I am pushing,  
20 is the wrong one, is not something we can deal with as a company.  
21 We can't have the director of marine ops not have confidence in  
22 the test plan or the construction of the vessel that he's in  
23 charge of. Now, you can see it from my perspective. That just  
24 won't work. I'm not going to bend. You're not going to bend.

25 [REDACTED] Okay.

1 MR. RUSH: Have I stated it clearly?

2 [REDACTED] Yeah.

3 MR. RUSH: I like you. I think you're a great pilot. I  
4 understand your position, but you have to understand my position  
5 and the approach that I'm taking.

6 [REDACTED] Which I don't agree with.

7 MR. RUSH: I understand. No, and I appreciate your honesty.

8 [REDACTED] I'm the same. I like you. Although I  
9 respect you, we do have disagreements --

10 MR. RUSH: I understand.

11 [REDACTED] -- a lot. What I'm saying is I don't want to  
12 see any harm to you. What the heck for the sake of paying some  
13 money and doing some research and get this thing checked over.

14 MR. RUSH: We're not going to rehash this thing.

15 [REDACTED] Seriously.

16 MR. RUSH: It is not just paying somebody and doing some  
17 research. I have looked into this ad nauseam, and I am confident  
18 with the acoustic monitoring system which is what I brought back  
19 this whole thing to. You're not.

20 [REDACTED] No, it --

21 MR. RUSH: And I understand. But we can rehash this.  
22 There's two sides to this thing. We ain't getting any closer.

23 [REDACTED] No. I mean you just don't have any baseline  
24 of what's going on inside that carbon.

25 MR. RUSH: Yeah, yeah.

1 [REDACTED] We're on the process for creating a baseline  
2 though.

3 MR. RUSH: Yeah.

4 [REDACTED] That's what, that's what I've been saying this  
5 whole time. We're in research and development. We have to go  
6 down this path to establish a baseline.

7 [REDACTED] But you don't know what's going on in there,  
8 [REDACTED]

9 [REDACTED] Exactly. We have record the data and get  
10 performance reports to get --

11 [REDACTED] Right.

12 [REDACTED] -- to collect that. We cannot -- without  
13 going down a test path, you cannot collect the data. It's --

14 [REDACTED] You need to have --

15 [REDACTED] The argument is about what the test path is.

16 MR. RUSH: That's the challenge, and that's what carbon fiber  
17 -- that's the only way to get a known (indiscernible), cut the  
18 thing up, and now you have a -- non-destructive testing of carbon  
19 fiber is a real problem and you want to go talk to Boeing, go talk  
20 to them because I have spent a lot of time down there. This is a  
21 non-trivial problem. We took the other one down there, and even  
22 getting through one inch of carbon fiber is a problem. Nobody  
23 makes 5 inch thick carbon fiber pieces of this size for  
24 compressive loads.

25 [REDACTED] Are we getting that baseline via, you know, sea

1 level, 10 feet, 100 feet? I mean are we --

2 MR. RUSH: Yes.

3 [REDACTED] -- going to be taking those different --

4 MR. RUSH: Every dive, every dive we're going to have the  
5 data. We get -- we're going to generate almost a terabyte of data  
6 on a dive, and that's what we're having the statistical analysis  
7 done. How much can we pair that back? And then we're going to be  
8 able to compare it. We can say, hey, something happened. What  
9 was that? And if we have an external transducer which we're going  
10 to have on it, we'll say, hey, that's a shrimp again, that's a  
11 ferry boat going over. That is a pop. It has a certain, you  
12 know, frequency. Let's mark it. Did we ever have a pop at 1,000  
13 meters? No, we've never had one. Okay. We've got a problem.  
14 Call it off. You know, cut the hull up, you know. I've got no  
15 problem to wasting money. I'm not going to die on this thing.  
16 But, you know, we're going to have this issue. We've got to,  
17 we've got to, you know, figure out false positives. We'll figure  
18 that out here, you know. It'll be, it'll be interesting. We'll  
19 hear -- I don't know if we're going to hear shrimp crackling. I  
20 don't know if we're going to hear whales farting. I don't know  
21 what we're going to hear through that, but it hears a lot.

22 [REDACTED] Right. I guess --

23 MR. RUSH: And if you look at, if you look at the pops we had  
24 in our testing --

25 [REDACTED] Yes.

1 MR. RUSH: -- which was using the exact same system and doing  
2 it in parallel with Boeing system as a validator of it, you can  
3 see those pops and they are -- they have a particular shape as  
4 opposed to just the background noise of the, you know, both  
5 electrical noise as well as the resin settling in but even the  
6 Boeing people don't know what's going on. I mean I've asked the  
7 experts at Boeing, what is that pop? And they said, you can read  
8 five books, and it'll give you five different reasons. It could  
9 be the matrix popping. It could be a fiber popping. It could be  
10 multiple fibers popping. It could be imploding. It could be  
11 exploding. It could bending. It could be, you know -- they don't  
12 know. This is cutting edge stuff.

13 [REDACTED] Well, I mean I --

14 MR. RUSH: No question about that.

15 [REDACTED] It's kind of makes it scary.

16 MR. RUSH: Yeah. I'm much more scared about people getting  
17 hit by the dome, smashing their head, breaking their arm, crushing  
18 their shoulder, you know, that -- getting their hand cut off or  
19 their hand cut up in a prop because they got distracted and, you  
20 know, that scares me a hell of a lot more than me dying in the sub  
21 because I know it ain't happening. But I'm guaranteeing you,  
22 we're going to have some major injuries. We're going to have  
23 somebody who's going to slip and fall. We're going to have, you  
24 know, they had it when they did the *Titanic*. We're going to have  
25 people with collar bone injuries, with broken arms. We're going

1 to have stuff. I want to make sure it's not because the dome ran  
2 away and smashed into them. I want to make sure it's not because  
3 we did something stupid, but it will happen.

4 [REDACTED] Are we setting up safety procedures for like  
5 topside? I'm assuming we are.

6 MR. RUSH: Yeah, and that's why we have -- there's two  
7 doctors --

8 [REDACTED] [REDACTED] and I have been (indiscernible) all  
9 sorts of --

10 MR. RUSH: -- two full-time doctors and hospital on staff.  
11 So there will be stuff. That's where our risk is. Our risk is  
12 not in this, but --

13 [REDACTED] I'm going to come back to me being a CPA, and I've  
14 brought up items with you that are accounting related --

15 MR. RUSH: Right.

16 [REDACTED] -- that I feel uncomfortable with --

17 MR. RUSH: Correct.

18 [REDACTED] -- that you are taking the risk on --

19 MR. RUSH: And when you had the questions about the  
20 international transfer of funds between our subsidiary and us.

21 [REDACTED] Yeah.

22 MR. RUSH: I knew you were completely wrong, but you need to  
23 hear it from somebody else. And so I said, you're completely  
24 wrong but, yes --

25 [REDACTED] I wasn't completely wrong.

1 MR. RUSH: No, but he said, you know, they don't care about,  
2 you know, as long as it's a tax issue. I wasn't trying to avoid  
3 taxes.

4 [REDACTED] Correct.

5 MR. RUSH: So I am open to this.

6 [REDACTED] No, and I get that, and -- but you did allow me to  
7 come back and do my own research.

8 MR. RUSH: Correct.

9 [REDACTED] And realize that I was wrong, but I think that's  
10 where [REDACTED] is coming from that -- I mean he's got a duty of care  
11 where he is sitting, saying that here's my knowledge and here are  
12 the things that I see. I have to bring them up.

13 MR. RUSH: I understand.

14 [REDACTED] Or else I --

15 MR. RUSH: And that's why I'm saying we're at this impasse  
16 because I'm not going to get there because we're coming from  
17 different sides of the problem. And I don't want to force him  
18 into being out there like badgering the shit out of him and he  
19 just knuckles under to say, yeah, I'll let him do it. And that is  
20 not the place -- one, I don't think I can do it. I don't think I  
21 can badger him sufficiently. And two, I don't want anybody -- I  
22 don't want anybody in this company who is uncomfortable with what  
23 we're doing. There are a lot of people out there who are excited  
24 about doing it. But I don't want to force people. We're doing  
25 weird shit here. And I'm -- and I am definitely out of them all.

1 There's no question. I'm doing things that are completely non-  
2 standard, and I'm sure the industry thinks I'm a fucking idiot.  
3 And I know [REDACTED] (ph.), he's telling everybody we're  
4 stupid fools. That's fine. They've been doing that for 8 years.  
5 And, I'm going to continue on the way I'm doing, but I'm not going  
6 to force people to join my religion if they don't want to.

7 [REDACTED] I don't know. I mean we are sort of at an  
8 impasse, I agree. However, I think, I think we need to separate  
9 for a while. I don't think we need to make any decisions right  
10 this second. I think we need to -- it's a Friday. Let's sleep on  
11 it for a couple of days and think about things. That's my  
12 opinion.

13 MR. RUSH: And it may be your opinion. What I don't want is  
14 I don't, I don't want [REDACTED] to knuckle under.

15 [REDACTED] I don't want him to either.

16 MR. RUSH: Because I -- yeah, and I don't think in 3 days  
17 you're going to suddenly say, you know, Stockton's right.

18 [REDACTED] No, I agree. I don't think that's going to  
19 happen. It may be that there's -- I mean where I sit right now,  
20 I'm not comfortable with acoustic monitoring because I don't  
21 understand it.

22 MR. RUSH: Right.

23 [REDACTED] But, I'm willing to under [REDACTED] tutelage to learn  
24 more. Perhaps that's --

25 MR. RUSH: Learning's not going to be nearly as good as

1 watching it on the sub but yes.

2 MR. RUSH: Correct, yeah. I mean and that's something that's  
3 going to have to be done as well. I mean I don't know if that's  
4 something that [REDACTED] is comfortable with saying, okay --

5 MR. RUSH: But he's not going to be comfortable with a live  
6 test. So I keep going down this list. If we have these  
7 fundamental disagreements and if you knuckled under, I know it  
8 wouldn't be authenticate and I don't think you'd do it.

9 [REDACTED] Well, instead of --

10 MR. RUSH: And I'm not knuckling under.

11 [REDACTED] -- you talking for him, I mean --

12 MR. RUSH: Okay.

13 [REDACTED] -- I guess my -- and I don't want to talk for him  
14 either, but I'm going to play [REDACTED] advocate here and just say,  
15 you know, as opposed to let's -- because I feel like you're  
16 heading the let's make this a hard separation right now, let's  
17 just do it, I mean I feel like he should be given the opportunity  
18 to think through this and say could I -- is there any situation  
19 where I could be comfortable? Let me think through it instead of,  
20 you know, making that decision right this second. I feel like,  
21 you know, could you ever become okay with acoustic monitoring? Is  
22 that something that you, you know, is that something that you  
23 can --

24 [REDACTED] Absolutely. But, we don't have a baseline.  
25 We don't have a baseline.

1 MR. RUSH: We do. We run it 10 foot.

2 [REDACTED] I'm just concerned. That said, I am allowed  
3 to be conservative. You employed me for that reason, okay. I'm  
4 doing my job. That for me is health and safety. That's that.  
5 I'm allowed to disagree with you as we said.

6 MR. RUSH: Correct.

7 [REDACTED] So I disagree with you.

8 MR. RUSH: All right.

9 [REDACTED] With Stockton.

10 MR. RUSH: Right, and then that's what I'm saying. He's --  
11 [REDACTED] is clear. We've known each other long enough, he doesn't  
12 knuckle under.

13 [REDACTED] Well, I understand that, but there --

14 [REDACTED] Is there, is there --

15 [REDACTED] But you and I disagree about it as well that you  
16 said, no, this isn't happening. I still disagree with you.

17 MR. RUSH: Right.

18 [REDACTED] But I continue to work for you.

19 MR. RUSH: Yeah.

20 [REDACTED] But I mean are we --

21 MR. RUSH: That's, that's --

22 [REDACTED] Or are we at a --

23 MR. RUSH: This is different. I mean that's a --

24 [REDACTED] Yeah, it's a payroll issue or --

25 MR. RUSH: Well, yeah. Yeah.

1 [REDACTED] Yeah, I get it. We're at completely different --

2 [REDACTED] The real question is, are you letting me go?

3 Do you now want to let me go? That's the question.

4 MR. RUSH: I don't see that we have a choice. From what --

5 [REDACTED] I feel like we're being hasty.

6 MR. RUSH: Well, it -- I think we've been very clear on what  
7 [REDACTED] wants to do to be comfortable, and what he thinks we have to  
8 do to do this safely and where I say we're going. And I don't see  
9 that there's going to be any bending on that because they're  
10 fundamental issues. I mean it really is. This is, you know, it's  
11 a Buddhist and a Christian thing or something. I don't know what  
12 it is but if these are -- this is who he is. That's why we hired  
13 him, you know. It is for that level of detail and safety and  
14 approach to it, was the primary attraction to bringing [REDACTED] on  
15 board. And now we've gotten to a point where his experience and  
16 his estimation of the correct way to do is fundamentally opposite  
17 of the approach that I want to take.

18 [REDACTED] What were you saying, [REDACTED]

19 [REDACTED] Yeah. To me, this is, you know, I keep on  
20 saying the same thing. You know, we're going -- we're on this  
21 path and we -- to me like in my path at OceanGate, you know,  
22 we're, you know, we're on this trail collecting these performance  
23 points and then making rational decisions along those points.

24 MR. RUSH: That's not an approach that [REDACTED] has been  
25 involved with. It's not an approach that is an industry standard

1 approach. It's not an accepted approach with the way the industry  
2 works.

3 [REDACTED] I'm wondering if that is acceptable as a cure.

4 MR. RUSH: What do you mean?

5 [REDACTED] You know, it is -- is there ever a path or  
6 that that's something that's [REDACTED] willing to do and go down  
7 that path and collect that because I feel like we've done that  
8 path on the LARS, you know.

9 MR. RUSH: People are in the LARS.

10 [REDACTED] With [REDACTED] -- you know, that's just my  
11 comment.

12 [REDACTED] Are you like a, for lack of a better word, like a  
13 make it up as you go along?

14 [REDACTED] Well, that's what -- that's really --

15 [REDACTED] I know that's what this is.

16 [REDACTED] This is a research and development program and  
17 eventually it will transfer into an operational procedure and an  
18 ops deal, but we're going to collect data points that are going to  
19 set limitations on the eventual operational procedures. That's  
20 the reality of this program.

21 [REDACTED] Right.

22 [REDACTED] And so there's a lot of undetermined facts  
23 right now that we don't know, that we can't say, we know that, you  
24 know, the hull is good to whatever or --

25 MR. RUSH: Yeah.

1 [REDACTED] We don't, we don't know all the information  
2 and that's to me one of the attractions about being here at  
3 OceanGate, doing innovative stuff, not knowing what's going to  
4 happen and, you know, having that intellectual stimulation and --

5 MR. RUSH: And regrouping and, you know.

6 [REDACTED] And tackling, you know, sophisticated problem  
7 solving. You know, I think that we've gone down that path with  
8 the LARS program. I'm looking forward to that path on the *Cyclops*  
9 *II* program, and to me that's an attraction. And I just -- I feel  
10 that, you know, that's just for me, but everyone's got to digest  
11 their own way and be comfortable with it like we've said.

12 MR. RUSH: You're not comfortable with it or you are.

13 [REDACTED] I'm comfortable with it.

14 [REDACTED] I guess the question is, is there anything -- I  
15 mean going down the same -- what you're saying, like the LARS  
16 path, doing it, you know, the *Titan* path --

17 [REDACTED] Yeah.

18 [REDACTED] -- is that something that you could ever be  
19 comfortable with? I mean that's --

20 [REDACTED] I just feel a tad let down right now with  
21 your comments. I'm (indiscernible) to be honest with you. This  
22 is the first time on paper I've ever put any health and safety  
23 concerns and by God, Stockton, you know on every expedition we've  
24 had issues, and I've been there for you. Every single expedition.

25 MR. RUSH: I'm not denying that.

1 [REDACTED] Every one.

2 MR. RUSH: I'm not denying it.

3 [REDACTED] Yeah.

4 MR. RUSH: But show -- what, what is the path forward given  
5 where your -- what your opinion is and your experience is telling  
6 you --

7 [REDACTED] Yeah.

8 MR. RUSH: -- and given what I've told you where I am, what  
9 -- I don't see how that path moves forward. That's the issue.

10 [REDACTED] We disagree on that path. That's what it is.  
11 It's a disagreement on the path on how that should be done.

12 [REDACTED] And a disagreement in my opinion isn't something  
13 that necessarily means that we need to part ways. I mean it may  
14 come to that at some point, if we get to that point, but I don't  
15 think that right now the answer is to part ways. I'm not sure  
16 that's the right answer.

17 MR. RUSH: Well, do you see a scenario where you will be  
18 comfortable with me being in the sub for a live test at the  
19 (indiscernible)?

20 [REDACTED] Right now, no.

21 MR. RUSH: Under what scenario would you be comfortable with  
22 that?

23 [REDACTED] Get the hull scanned.

24 MR. RUSH: So unless the hull's scanned, you wouldn't -- you  
25 will not -- there's no way you'll be comfortable with me doing a

1 live dive regardless of what acoustic monitoring does at a 1,000  
2 meters, 2,000 and 3,000?

3 [REDACTED] The acoustic monitoring will tell you what is  
4 happening.

5 MR. RUSH: Correct.

6 [REDACTED] Not what is there.

7 MR. RUSH: I understand.

8 [REDACTED] That's --

9 MR. RUSH: And I care what's happening.

10 [REDACTED] -- my concern. You don't know what is there.

11 MR. RUSH: Unless the hull is scanned, you will not be  
12 comfortable with me being in the sub for the depth trials.

13 [REDACTED] Correct.

14 MR. RUSH: That's correct. And there's nothing that's going  
15 to -- no matter about the acoustic data, no amount of going out  
16 and towing it and driving it around here or taking it down is  
17 going to make you comfortable?

18 [REDACTED] It's very different from you putting yourself  
19 in the seat and taking it down there. We don't know -- there's no  
20 baseline. That's where I'm going with this. There's no baseline  
21 on --

22 MR. RUSH: Yes, there is.

23 [REDACTED] -- on that hull?

24 MR. RUSH: There's a baseline right now. I've got acoustic  
25 data right now as it's sitting there. I'm going to have acoustic

1 data at 10 feet. I'm going to have acoustic data at 20 feet.  
2 That is a baseline.

3 [REDACTED] Yeah. Can we create that baseline?

4 MR. RUSH: You don't know what's in the matrix. Yeah, that's  
5 right. You don't know.

6 [REDACTED] You don't know --

7 MR. RUSH: That's exactly. You don't know what's in the  
8 matrix. You don't know if somebody from [REDACTED] Composites took a  
9 ham sandwich and threw it in there in the middle of the night.

10 [REDACTED] Correct.

11 MR. RUSH: You don't know. You don't if 50 mosquitoes came  
12 through and they had a locust swarm and it's all in the resin and  
13 you've got tons of voids.

14 [REDACTED] Correct.

15 MR. RUSH: You don't know.

16 [REDACTED] The alarms go off.

17 MR. RUSH: That's correct. And that's why we have acoustic  
18 monitoring, but you're not going to ever be comfortable with that  
19 alone unless the hull is scanned and you know what it looks like.  
20 You've said you're not going to be comfortable.

21 [REDACTED] The company is deviating from the original  
22 plan of --

23 MR. RUSH: I understand. Yeah, yeah.

24 [REDACTED] We have.

25 MR. RUSH: Yeah. We've deviated from a lot of plans. We've

1 deviated from a whole ton of plans. Yeah, I was going to have  
2 Boeing build this. I was going to have ATK build this. I was  
3 going to have General Dynamics build this. [REDACTED] was not my  
4 first choice. TiFab wasn't my first choice. You know, there were  
5 -- we've had to bob and weave and catch up and do a whole bunch of  
6 shit.

7 [REDACTED] I still don't want, I still don't want to make a  
8 hard decision today. I --

9 [REDACTED] I think Stockton's made a decision.

10 MR. RUSH: I don't see how I can make any other decision  
11 unless, you know, and I don't want, I don't want you to cave to  
12 placate me. I don't think you'd do that. And I think we're going  
13 to have a meeting of the minds. And you're -- this is a critical  
14 things. If you're going to be director of marine ops and you're  
15 not confidence with the approach I'm taking, that, you know, that  
16 can't hold.

17 [REDACTED] All management disagrees on something at one  
18 time or another, you know that.

19 MR. RUSH: Yeah, but this is more than a disagreement.  
20 You're not going to stand by, be sitting on the deck while I go  
21 down there --

22 [REDACTED] Unless --

23 MR. RUSH: -- unless it's done to the way you want it. We  
24 can wait until Monday, but I don't see -- we keep bouncing back to  
25 the same spot.

1 [REDACTED] And I'm not going to change my mind.

2 MR. RUSH: I know that.

3 [REDACTED] You know that.

4 MR. RUSH: Yeah, I know that.

5 [REDACTED] You're not going to change your mind.

6 MR. RUSH: Exactly. I know that, too.

7 [REDACTED] All right then.

8 MR. RUSH: And I don't, you know, I appreciate this huge  
9 sacrifice you've made to move out here. I appreciate it. You've  
10 been a hell of a great employee. And I think you're a great  
11 pilot, you know, I'd love to be able to have you do stuff with us.  
12 But this is the future of the company. You know, we're going to  
13 something for *Antipodes*. We're going to find stuff for *Cyclops I*.  
14 But this is the future.

15 [REDACTED] If we go down this path, to get this  
16 performance data, we do execute on our plan, [REDACTED] would you ever  
17 be comfortable given that we have this impasse on this baseline  
18 with the *Cyclops II* program?

19 [REDACTED] The *Cyclops II* program excited, and I'm going  
20 to swear, and I know we shouldn't, the shit out of me, okay. From  
21 day (indiscernible), I've been involved with that, okay. The  
22 whole APL thing, moving on, when [REDACTED] came in, fantastic, excites  
23 me, okay. I am just bringing up safety concerns. That's it.  
24 That's it, that we disagree on. So the main thing here is  
25 Stockton and I are not going to agree on this.

1 [REDACTED] I understand that.

2 [REDACTED] That said, what happens in the future, when  
3 you're doing your testing and stuff like that, and that's  
4 different. That's different from what we're just saying now.

5 [REDACTED] Yeah. I'm asking, I'm asking you if we, if we  
6 prove that what we have given right now down this path of  
7 performance review, if we prove this program, is that something  
8 that you will ever be at some point comfortable with given the  
9 future data that we're going to collect? I mean we are going to  
10 collect this data? We are going to get these performance reports,  
11 but --

12 MR. RUSH: But if you don't -- but [REDACTED] point would be if  
13 you don't know what's in the matrix, how do you know on the 6th  
14 dive, the 60th dive, the 100th dive, the 101st dive, it's going to  
15 fail, and unless you have confidence in the acoustic monitoring,  
16 that's -- that is a legitimate -- that is a -- his concern is  
17 legitimate. It's the orthodoxy. It's what people would say. You  
18 did 100 dives to the *Titanic* and 101st it's going to implode. I  
19 don't believe it. And you do, and that's the impasse. So he's  
20 never going to get comfortable.

21 [REDACTED] But a lot of people thought that [REDACTED]  
22 was going to kill him, and now people are like awarding him things  
23 like, oh, wow. He's one of the most experienced pilots in the  
24 world, you know.

25 MR. RUSH: He's still dangerous. He's dangerous for a

1 different reason. He's not dangerous because of his engineering.  
2 It's because of his ops.

3 [REDACTED] Yeah. But he's got more respect is what I'm  
4 saying.

5 [REDACTED] What I think [REDACTED] is trying to say, I think, is  
6 we're at an impasse but --

7 [REDACTED] Is there a cure?

8 [REDACTED] -- we need [REDACTED] on this crew. In my opinion, we  
9 need him here.

10 MR. RUSH: He has to be comfortable with us. Well, we don't  
11 need any -- quite frankly, everyone is replaceable. It will be a  
12 huge loss to lose him. We'll have to recover through it because I  
13 can't have him freshening everything that -- the process. You're  
14 going to be highly uncomfortable if we continue down this path to  
15 the level of it's not appropriate for me to put you in that  
16 position, for me to go do stuff that you think is insane, that I'm  
17 going to kill myself with a vehicle that hasn't been checked out  
18 to the way you want. And I'm going to somehow have him be  
19 associated with that and overlook it which he won't do. You know,  
20 that -- yeah, we need, we need somebody. It's -- this is, this is  
21 a huge loss. He's the backbone of this company. He's worked his  
22 ass off on it. You've been on every expedition. You know the  
23 shit hook, line and sinker, you know. This is not like idiot  
24 face, you know, Coast Guard schmuck, you know. This is -- he's  
25 core. But this is also a core problem.

1 [REDACTED] Yeah, I agree with you.

2 MR. RUSH: Yeah.

3 [REDACTED] I agree with you, and --

4 MR. RUSH: I'm not trying to be an asshole. I'm not trying  
5 to be an asshole.

6 [REDACTED] Please understand, I'm not saying you're  
7 going to die. That is a risk that it could happen. There's a  
8 risk any time you put *Antipodes* in the water, any vehicle I'm  
9 aware of, more than anybody here, okay, with flight experience and  
10 stuff like that. I've done a lot of dives, a lot of dives that  
11 went wrong, okay.

12 MR. RUSH: Um-hum.

13 [REDACTED] So I understand and I still do it, okay. But  
14 the feel good fighter is in there and the feel good fighter is not  
15 going to be fulfilled by you to make me comfortable to supervise  
16 you topside while you go down to 4,000 meters. That's not going  
17 to change. If we knew the hull integrity was intact, absolutely,  
18 absolutely. Not a problem.

19 MR. RUSH: Well, I do know that you don't believe what I  
20 believe.

21 [REDACTED] Yeah.

22 MR. RUSH: That's the issue.

23 [REDACTED] That's the issue.

24 [REDACTED] There's a (indiscernible) all of this. A  
25 gentleman sent me (indiscernible). He doesn't bring confidence to

1 the table, not often, not for us. [REDACTED] I'm not (indiscernible)  
2 just not -- never has, okay. You knew that with the *Cyclops II*.

3 MR. RUSH: Um-hum.

4 [REDACTED] Fortunately he stated it (indiscernible)  
5 *Antipodes*, and she's performed every time. Yes, I'm running a  
6 (indiscernible).

7 MR. RUSH: Okay. Yeah, and that's also a huge problem. I  
8 mean the fact is I take, you know, I take what he says. I take  
9 all the other information sources that I have, and I distill them  
10 and I have confidence.

11 [REDACTED] But I mean [REDACTED] and I have both seen so many  
12 (indiscernible) with fundamental components that's going onto that  
13 new vehicle.

14 MR. RUSH: Okay.

15 [REDACTED] I've been taken aback. You really would  
16 (indiscernible) and it's a lack of experience. He may be a  
17 materials engineer but he has not got the experience for  
18 submersibles. And this is his first (indiscernible). This is  
19 going to be one of the most trying projects and it really is.

20 MR. RUSH: Um-hum.

21 [REDACTED] It's innovative. I don't doubt any of that.  
22 At the end of the day, he brings no experience to the table.

23 MR. RUSH: Okay.

24 [REDACTED] He is learning as he's going. That's it.  
25 So.

1 MR. RUSH: Nothing left.

2 [REDACTED] At will state.

3 MR. RUSH: What?

4 [REDACTED] At will state. (Indiscernible) say my  
5 goodbyes to ya.

6 MR. RUSH: Okay. It's never easy.

7 [REDACTED] Some are easier than others.

8 (Whereupon, the interview was concluded.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           LOSS OF THE SUBMARINE *TITAN*  
                                  IN THE NORTH ATLANTIC OCEAN  
                                  ON JUNE 18, 2023  
                                  Interview of [REDACTED]

ACCIDENT NO.:               DCA23FM036

PLACE:                       Everett, Washington

DATE:                        January 19, 2018

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

[REDACTED]  
Transcriber